

OFFICE OF CONSERVATION
STATE OF LOUISIANA

IN RE: GROUND WATER RESOURCES
COMMISSION MEETING

REPORT OF MEETING
HELD AT
EUNICE, LOUISIANA
SEPTEMBER 16, 2009

SEPTEMBER 16, 2009

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29
30

OFFICE OF CONSERVATION

STATE OF LOUISIANA

IN RE: GROUND WATER RESOURCES

COMMISSION MEETING

Report of the Commission meeting held by the
Ground Water Resources Commission, on September 16,
2009, in Eunice, Louisiana.

IN ATTENDANCE:

REPRESENTING THE OFFICE OF CONSERVATION:

- Scott Angelle, Secretary, Natural Resources
- James Welsh, Commissioner of Conservation
- Eugene Owen, Louisiana Rural Water Association
- Kyle Balkum, Dept. of Wildlife and Fisheries
- Eugene Coleman, Sparta Ground Water Conservation
- Paul Miller, Dept. of Environmental Quality
- Dan Hollingsworth, Louisiana Municipal Assoc.
- Mickey Mays, Police Jury Association of Louisiana
- Jimmy Johnston, LA Wildlife Federation
- Glenn Cambre, Dept. of Health and Hospitals
- Bo Bolourchi, Dept. of Transportation and Development
- Paul Frey, Louisiana Landowners Association
- Jackie Loewer, Chicot Aquifer
- John Adams, Staff Attorney, Conservation
- Gary Snellgrove, Ground Water Resources Division
- Tony Duplechin, Ground Water Resources Division

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 REPRESENTING ATTORNEY GENERAL'S OFFICE:

2 MEGAN TERRELL

3

4

5 REPRESENTING U.S.G.S., LOUISIANA WATER SCIENCE CENTER:

6 JOHN LOVELACE

7

8

9 REPRESENTING S.J. LANGLINAIS & ASSOCIATES, INC.:

10 STEPHEN LANGLINAIS

11

12

13 REPRESENTING AGL RESOURCES/JEFFERSON ISLAND STORAGE &

14 HUB, LLC:

15 TIM GOODSON

16

17

18 REPRESENTING SABINE RIVER AUTHORITY:

19

20 JIM PRATT

21 15091 Texas Highway

22 Many, Louisiana 71419

23

24

25 REPRESENTING DESOTO PARISH WATER WORKS:

26

27 JOHN NEILSON

28 302 North Washington Avenue

29 DeSoto Parish

30

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 REPRESENTING SELF:

2

3 HERSCHEL L. BOURQUE

4 8461 Highway 99

5 Welsh, Louisiana 70591

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

26

27

28

29

30

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 GROUND WATER RESOURCES COMMISSION MEETING

2 SEPTEMBER 16, 2009

3 * * * * *

4 MR. ANGELLE:

5 We'll go ahead call the Ground Water Resources
6 Commission meeting of September the 16th to order,
7 and I ask for the staff to go ahead and call roll.

8 MR. ADAMS:

9 Hi. My name is John Adams, let's go ahead with
10 the roll.

11 Mr. Scott Angelle?

12 MR. ANGELLE:

13 Here.

14 MR. ADAMS:

15 Mr. Kyle Balkum?

16 MR. BALKUM:

17 Present.

18 MR. ADAMS:

19 Mr. Bo Bolourchi?

20 MR. BOLOURCHI:

21 Here.

22 MR. ADAMS:

23 Mr. James Burland?

24 (No response.)

25 MR. ADAMS:

26 Mr. Glenn Cambre?

27 MR. CAMBRE:

28 Present.

29 MR. ADAMS:

30 Mr. Gene Coleman?

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 MR. COLEMAN:

2 Here.

3 MR. ADAMS:

4 Mr. Elliot Colvin?

5 (No response.)

6 MR. ADAMS:

7 Mr. William Downs?

8 (No response.)

9 MR. ADAMS:

10 Mr. Paul Frey?

11 MR. FREY:

12 Here.

13 MR. ADAMS:

14 Mr. Garrett Graves?

15 (No response.)

16 MR. ADAMS:

17 Mr. Dan Hollingsworth?

18 MR. HOLLINGSWORTH:

19 Here.

20 MR. ADAMS:

21 Mr. Jimmy Johnston?

22 MR. JOHNSTON:

23 Here.

24 MR. ADAMS:

25 Mr. Jackie Loewer?

26 MR. LOEWER:

27 Here.

28 MR. ADAMS:

29 Mr. Mickey Mays?

30 MR. MAYS:

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 Here.

2 MR. ADAMS:

3 Mr. Paul Miller?

4 MR. MILLER:

5 Here.

6 MR. ADAMS:

7 Mr. Eugene Owen?

8 MR. OWEN:

9 Present.

10 MR. ADAMS:

11 Mr. Kelsey Short?

12 (No response.)

13 MR. ADAMS:

14 Mr. Brad Spicer?

15 (No response.)

16 MR. ADAMS:

17 Mr. James Welsh?

18 MR. WELSH:

19 Here.

20 MR. ADAMS:

21 I believe ten is required for a quorum. We have
22 more than ten here, so we do have a quorum.

23 MR. ANGELLE:

24 Thank you, sir.

25 Just a couple of housekeeping items, I would ask
26 that the members here of the Commission speak rather
27 loudly, above your normal conversation voice, because
28 of the lack of microphones that we have up here. We
29 do have recording devices up here. As I've stated to
30 you before, one of the things that we did in this new,
Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 reorganized Commission is that we were going to have a
2 court reporter here creating a transcript which we
3 have done, and she has microphones spread out up here.
4 I'm assuming that she's picking that all up. However,
5 when you speak, so we don't have to carry the
6 microphone, pass a microphone down, when we have
7 members of the public that wish to talk, just raise
8 your hand, and our staff will help pick up the audio
9 there.

10 Item No. 2, adoption of minutes, we have
11 presented to you the December 18th and March 5th and
12 the July 28th minutes, I think were sent to you by
13 e-mail. It's also my understanding that the minutes
14 of a previous meeting, perhaps in October -- was that
15 right, Mr. Snellgrove --

16 MR. SNELLGROVE:

17 Yes.

18 MR. ANGELLE:

19 -- was -- in October of 2008, were also submitted
20 to you, but because we did not have a quorum at that
21 meeting, we are not looking to approve minutes but we
22 have a summary for you, and I'm hopeful that you have
23 an opportunity to review the minutes that have been
24 submitted to you.

25 And we would entertain a motion to approve those
26 minutes, for the record.

27 MR. COLEMAN:

28 So moved.

29 MR. ANGELLE:

30 Motion by Mr. Coleman.

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 MR. OWEN:

2 Second.

3 MR. ANGELLE:

4 Seconded by Mr. Owen.

5 Any objection to that motion?

6 (No response.)

7 Any discussion?

8 (No response.)

9 MR. ANGELLE:

10 Hearing none, that motion is adopted.

11 Item No. 3, we have with us, from the Office of
12 Attorney General, Ms. Megan Terrell. You recall that
13 Ms. Terrell was with us last meeting and did an
14 exceptional job of kind of going over the duties of
15 the Commission so that we can continue to understand
16 what our role is and where the bright lines exist
17 between the authority of the Commissioner and the
18 authorities of the Commission. Having said that, I
19 thought it would be a good idea for her to continue,
20 and we will continue to do this, until such time that
21 we all have a pretty good grasp of it.

22 So thank you again, Ms. Terrell, for being here,
23 and we ask that you thank Attorney General Caldwell
24 for his extraordinary support of the protection of the
25 natural resources of this state.

26 MS. TERRELL:

27 I am glad to be here. Again, my name is Megan
28 Terrell, and I work for the Environmental and the
29 Lands and Natural Resources Section of the Attorney
30 General's Office.

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 I'm here really just to give you a brief overview
2 of the existing ground water statutes. I paid
3 specific attention to the dual jurisdiction and the
4 duties of both, the Ground Water Resources Commission
5 and the Commissioner of Conservation.

6 MR. ANGELLE:

7 Ms. Terrell, excuse me, just for members here,
8 which is where they're handicapped, is there a copy of
9 the PowerPoint presentation in each member's packet,
10 and is that in the folder; is that correct?

11 So if the members would pull the -- is this it --
12 if you would pull this out of your packet, you would
13 have the information in front of you that Ms. Terrell
14 will likely be going over; is that correct?

15 MR. SNELLGROVE:

16 Yes.

17 MR. ANGELLE:

18 Okay. Give everybody a moment, if you would,
19 just so they can find it.

20 MR. HOLLINGSWORTH:

21 Is there someone who can work on your microphone?
22 We've got feedback making it hard to understand. I
23 think it's up too loud.

24 MS. TERRELL:

25 I might not need it. Can everybody hear me if I
26 speak without the microphone? I usually do a pretty
27 good job of carrying my voice, so I'll just speak
28 loudly. I might be easier to understand than the
29 microphone.

30 First, I'll go over some of the main duties of
Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 the Ground Water Resources Commission. Some of those
2 duties include reviewing and approving or rejecting
3 challenged orders; placing restrictions on water wells
4 issued by the Commissioner of Conservation, and it's
5 my understanding that, at this time, no orders have
6 been challenged.

7 Another duty is to review and comment on the
8 rules and regulations proposed by the Commissioner of
9 Conservation, and the statute provides for an
10 opportunity for review and comment of the Commission.

11 Also, the Commission is to continue to develop,
12 in conjunction with the Commissioner, a statewide
13 ground water resources management program. The
14 Commission must also hold public hearings and consult
15 with local government entities in the development of
16 this program. And the details of this are going to
17 follow later on during at the meeting, and this
18 process is ongoing at this time.

19 The Commission is also going to review the
20 contingency plan developed by the Commissioner of
21 Conservation to respond to ground water emergencies.

22 Also, to attend all public meeting called by the
23 Commissioner of Conservation.

24 And, finally, some of the -- the statute also
25 provides specific duties of the Commissioner of
26 Conservation, and some of those duties include
27 requiring registration of all new water wells by water
28 well owners, and this process is ongoing at this time;
29 to review well information submitted with the notices
30 of intent within 30 days of their receipt, and the

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 Commissioner may either issue an order to the owner
2 placing restrictions on the well, request additional
3 information if necessary, or allow the well to be
4 drilled as proposed.

5 The Commissioner also determines areas of ground
6 water concern and designates critical areas of ground
7 water concern, in accordance with the statute;
8 collects data with respect to water wells and water
9 resources; also development of a statewide ground
10 water resources management program.

11 The Commissioner also will continue the
12 development of a contingency plan to respond to a
13 ground water emergency that gives ground water needed
14 for human consumption the highest priority. I
15 understand that there is a contingency plan that was
16 effective August 15th of this year.

17 The Commissioner also can authorize the use of
18 drought-relief wells for agricultural use in times of
19 drought upon the determination that efficient water
20 resources are otherwise not available. This has been
21 authorized by an order issued by the Commissioner.

22 He can also enter into interagency agreements and
23 interstate compacts in order to manage the ground
24 water resources, and there are agreements with
25 multiple agencies for data sharing to pursue this
26 goal.

27 And also, he can enforce the Louisiana Ground
28 Water Management Law through the issuance of
29 compliance orders and civil penalties.

30 So, as you can sort of see, this statute really
Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 spells out what I referred to earlier as the dual
2 jurisdiction between the Ground Water Resources
3 Commission and the Commissioner of Conservation.

4 MR. ANGELLE:

5 Questions?

6 MR. HOLLINGSWORTH:

7 Mr. Chair, could I ask a question?

8 MR. ANGELLE:

9 Yes.

10 MR. HOLLINGSWORTH:

11 Gene Coleman and I were visiting before the
12 meeting, and someone had indicated to Gene that there
13 is such a myriad of different and conflicting laws
14 regarding water usage right now, that is a major,
15 major problem.

16 Is this effort going to clear that up and -- to
17 where we've got distinct lines of delineation between
18 what we can do and what we can't do to where you
19 can --

20 MR. MILLER:

21 I think --

22 MR. ANGELLE:

23 When you say "is this effort," I'm not sure what
24 you're referring to.

25 MR. HOLLINGSWORTH:

26 Well, I thought, in outlining these duties and
27 try and get the --

28 MR. ANGELLE:

29 Well, I mean, yes. The purpose of -- let me say
30 that, there is obviously a historical body of law that

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 exists --

2 MR. HOLLINGSWORTH:

3 Right.

4 MR. ANGELLE:

5 -- that gives a lot of different agencies a lot
6 of different authorities and what they do and how they
7 manage it, not only local governments and water
8 districts, but also DEQ and DHH and DNR and the Office
9 of Conservation and on and on and so forth.

10 The reason for my having Ms. Terrell here is not
11 to, during her presentation, provide a real clear
12 understanding of where all those lines exist, because,
13 quite frankly, I don't think that there has been yet a
14 comprehensive review of all those lines.

15 And it -- you will see a little bit later in our
16 ground water management plan perhaps that's one of the
17 things that we need to address, okay?

18 What I'm trying to do here is -- it is somewhat
19 odd that the Commissioner of Conservation is also a
20 member of the Commission, and yet, he has statutory
21 authorities of which we do not have the authority to
22 get into his business because the legislature has
23 clearly delineated that to him, and as we try to go
24 through it, when you take the folks that we have here
25 who have a lot to do in your ordinary lives, I think
26 one of the clear things that I have a duty of doing is
27 saying, okay, if I'm going to go to this meeting and
28 I'm going to contribute, I need to know where I can
29 contribute, how I can contribute, and where I'm out of
30 bounds in my contribution. And I think that, if we

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 can continue to have and see this in front of us, over
2 time, we will grow into the Commission that I think
3 the state needs us to be, at the same time
4 understanding that, if we want to get into another
5 area that is the Commissioner's authority, then we
6 need to respect that and we need to go to the
7 legislature in the ways that we can before we get into
8 a situation and I'm overseeing a Commission that the
9 Commissioner is telling me, look, I appreciate it, but
10 that's my responsibility.

11 And, Mr. Mayor, you understand the clear lines
12 between chief executive officer of your office, as
13 well as City Council, so it's more that.

14 What I would like is some just kind of a
15 interaction with Ms. Terrell. Again, I understand the
16 dual role. One of the things I think I see here,
17 though, is that the legislature has invested in the
18 Commissioner the responsibility of the day-to-day
19 execution, and we either -- and some of the things on
20 Page 4, we review and approve or reject his work when
21 it comes to placing restrictions on water wells. We
22 review and comment on his work. We review -- Item
23 No. 3 seems to me where the meat and potatoes of what
24 the Commission will do.

25 Certainly, the State has invested, in my mind, a
26 budgetary category, a statutory responsibility for the
27 Commissioner to do the heavy lifting associated with
28 regulating this industry. We serve as a check and
29 balance perhaps, and where I think we can best
30 implement the things -- or we can best impact, I

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 should say, the things that the Commissioner has to
2 implement is how we put together a comprehensive plan,
3 much like a board of directors of any organization,
4 which you leave to the CEO to implement the day-to-day
5 duties of then and then perhaps come back and check
6 whether or not the implementation of those things are
7 consistent with the plan.

8 And I hope that is -- you know, now we're in
9 south Louisiana today, I get to give you the Cajun
10 explanation, Mayor, which is a long answer to every
11 question that you might have, and so I hope that kind
12 of helps you and the Commission members and me, in
13 particular, too, understand where we're trying to go
14 with this.

15 I'd ask, if any member wants to question
16 Ms. Terrell on, you know, your individual duties and
17 responsibilities to, please, do so, to send us
18 e-mails, because we are trying to build this as we
19 move forward. Okay?

20 MR. HOLLINGSWORTH:

21 Very good.

22 MR. ANGELLE:

23 Very good.

24 That will probably cure your desire to ask me
25 another simple question today.

26 Okay. Thank you, Ms. Terrell. I appreciate it
27 very much.

28 And we will now move on to Item 4, and welcome
29 Mr. John Lovelace to the Commission, and thank you for
30 being here, sir. I appreciate it. You are our

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 partner with the U.S.G.S., and as I appreciate it,
2 have a lot of knowledge of the Chicot Aquifer. You
3 were with us, I think, a couple weeks ago --

4 MR. LOVELACE:

5 Yes, sir.

6 MR. ANGELLE:

7 -- is that correct?

8 Again, welcome to the Ground Water Commission and
9 thank you for being here. We do appreciate our
10 Federal partners.

11 MR. LOVELACE:

12 Well, thank you.

13 And I'm going to make two presentations. The
14 first one is basically a shortened recap of what we
15 talked about a couple of weeks ago in Baton Rouge, and
16 it's just an overview of the status of the Chicot
17 Aquifer system. And the second one -- the title is a
18 little bit beyond what I was going to do, but it's
19 going to be -- I'm not sure what the best management
20 practices out there are for artificial recharge, so
21 I'm going to give you an overview of what artificial
22 recharge is.

23 MR. ANGELLE:

24 And which document are we looking at here?

25 MR. LOVELACE:

26 The first one is the "Chicot Aquifer System."

27 MR. ANGELLE:

28 Is it this one here (indicating)?

29 MR. LOVELACE:

30 Yes, sir.

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 MR. ANGELLE:

2 Members of the Commission, if you would look this
3 way it is this one here (indicating).

4 Thank you, John.

5 MR. LOVELACE:

6 All right. Let's start out with a thanks to our
7 funding partners for all the data that I'm going to
8 show. The information was collected through
9 partnerships with DOTD, the LSU Ag Center, the Rice
10 Research Board, and some data from Calcasieu Parish.
11 The Calcasieu Parish Police Jury funded -- funding
12 some work for us to work in the parish.

13 Our problems and concerns that I pointed out
14 before, there are some areas where there's withdrawals
15 that are causing water level declines in the aquifer,
16 in the Chicot Aquifer system, and in some areas, those
17 withdrawals have caused declines to the point where
18 there's -- conditions are favorable for the saltwater
19 encroachment, especially along the coast and over here
20 in the Atchafalaya River Basin.

21 The Chicot is the most heavily pumped aquifer in
22 the state. This is a -- chart just showing how much
23 water is pumped from each major aquifer or aquifer
24 system. You can see right away that the Chicot right
25 there, the longest bar, is by far the most heavily
26 pumped aquifer.

27 MR. LOEWER:

28 Can we ask questions during your presentation?

29 MR. LOVELACE:

30 Certainly.

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 MR. LOEWER:

2 When you say we have water level declines, is
3 that depression or depletion?

4 MR. LOVELACE:

5 Depression, depression, it's just water levels --
6 the Chicot, most of its extent is a confined aquifer,
7 that means it's -- the water is under pressure. It's
8 confined by clay, and if you put a well into the
9 aquifer, then you go drill down through a particular
10 layer of clay, and the water is under pressure, so
11 it's going to rise up so far in the well casing. It's
12 still above basically what we consider the top of the
13 aquifer in most areas.

14 So, when you say "depletion," I'm thinking of
15 water levels have fallen below the top of the aquifer
16 and starting to pull -- starting to create some empty
17 spaces down there.

18 MR. LOEWER:

19 And it's not that?

20 MR. LOVELACE:

21 It's not that.

22 MR. LOEWER:

23 Okay. Thank you.

24 MR. LOVELACE:

25 I'll show you in more detail just that in a few
26 minutes, and we'll also get into what it means when
27 you start dewatering an aquifer, does it have much
28 need? In some cases, perhaps not.

29 And this is where the Chicot Aquifer is. That
30 lighter blue area near the top, that is the recharge

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 area, and that is where it's, more or less,
2 unconfined. It comes up to the surface there and gets
3 a lot of its recharge. The darker blue area is where
4 it is confined.

5 When you look at pumpage around the state, you'll
6 see right away that some of the -- these are kind of
7 color-coded. The darker parishes have the heavier
8 pumping, and you'll see right away that southwest
9 Louisiana has some of the heaviest pumping. And
10 really, you can see there Jeff Davis and Acadia
11 Parish. Then the surrounding parishes are all kind of
12 dark, and that's because there's a lot of agriculture,
13 particularly rice irrigation, in those parishes, and
14 rice irrigation requires a fair amount of water.

15 MR. ANGELLE:

16 John, how much of -- how far does the Chicot
17 Aquifer extend into Texas?

18 MR. LOVELACE:

19 It extends all the way down the coast, basically,
20 to Brownsville.

21 MR. ANGELLE:

22 So what geographic areas -- I mean, is -- would
23 it go as far as the Houston area?

24 MR. LOVELACE:

25 Yes. It is south of Houston. It swoops across
26 and down the coast.

27 MR. ANGELLE:

28 So when we talk about the Chicot -- from the
29 Federal level, when we talk about the Chicot Aquifer,
30 what happens, as a nonscientist, somewhat handicapped,
Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 what happens in --

2 MR. LOVELACE:

3 Is what is happening in Texas affecting us here

4 and vice versa?

5 MR. ANGELLE:

6 Yes.

7 MR. LOVELACE:

8 No. As far as we can tell, looking at our water

9 level surfaces, the maps we create for Texas and we

10 create for Louisiana, there is essentially a divide

11 around the Sabine River where what we're doing over

12 here really doesn't affect them over there very much.

13 MR. ANGELLE:

14 Okay.

15 MR. LOEWER:

16 And they have their own recharge area?

17 MR. LOVELACE:

18 Yes.

19 MR. LOEWER:

20 This is not the only recharge area?

21 MR. LOVELACE:

22 That's right. The recharge area extends across

23 and down there, too.

24 MR. ANGELLE:

25 Okay. All right. That's interesting.

26 MR. OWEN:

27 Mr. Chairman, there is -- information -- I don't

28 know if Mr. Lovelace agrees with this -- but the water

29 that you're drinking here in Eunice today is not

30 really typically Chicot water. It's from Evangeline,

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 which may have at this point some natural
2 interconnections with Chicot, but it's mostly from the
3 Evangeline and from the very bottom of the Evangeline.
4 You may notice that the water here in Eunice is --
5 tastes a little flat compared to Baton Rouge water,
6 and that's -- the reason for that is because of the
7 use of lime to extract the iron and magnates that
8 occur naturally in this water. If you go to Crowley,
9 just 20 miles south, that's typically Chicot water.

10 MR. ANGELLE:

11 Thank you, sir.

12 MR. LOVELACE:

13 That is absolutely correct. If you go a little
14 bit east of here, the town of Opelousas does have
15 wells in both the Chicot and the Evangeline, but they
16 get the bulk of their water out of the Evangeline.

17 And right in this area, they can get water out of
18 either source, but the Evangeline has better quality
19 than the Chicot in this area, so, typically, most of
20 the public supplies right in here are tapping into the
21 Evangeline.

22 A little farther south, the Evangeline starts
23 breaking into saltwater, so, basically, below here,
24 most of the public supplies and everyone else is using
25 water from the Chicot Aquifer (indicating).

26 MR. COLEMAN:

27 But the general flow is from the recharge area
28 almost directly south?

29 MR. LOVELACE:

30 Before there was a lot of pumping, yes, that is
Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 correct, it was south to the coast.

2 MR. COLEMAN:

3 Naturally, it would be.

4 MR. LOVELACE:

5 Naturally, naturally, it was from north -- north
6 to south and slightly to the east where it's the
7 Atchafalaya River Basin, also.

8 This pie simply shows the breakdown of what the
9 pumping is used for. You can see, about
10 three-quarters of it is for agricultural purposes.
11 irrigation is almost all rice irrigation, and the
12 aquaculture is crawfish farming, which is often on the
13 same plots as -- with the rice.

14 One interesting thing on here is a ten percent
15 slice of the pie for industry, and almost all of that
16 pumpage is very concentrated in the Lake Charles
17 industrial area, which is sort of between Lake
18 Charles, Sulphur, and Westlake.

19 MR. BOURQUE:

20 Can I ask a question, sir?

21 MR. LOVELACE:

22 Yes.

23 MR. BOURQUE:

24 Do you all show charts on the salinity of the
25 Chicot from south to north?

26 MR. LOVELACE:

27 I have -- I don't have it on the part of this
28 presentation, but it's fresher and slowly grades a
29 little bit saltier as you go both south and to the
30 east.

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 MR. BOURQUE:

2 It would give some of us a better idea if you are
3 -- according to south to north or if its --

4 What I'm asking you is to give us a chart of the
5 salinity from south to north. For the agriculture
6 business, we're having more problems convincing people
7 that in Kaplan and the Vermilion Parish area that the
8 water is still not -- it's not getting any saltier.
9 They're just using it more because they have less
10 surface water to use. So if there's an argument, I'm
11 having problems with the farmers convincing them that
12 it's not a problem. We're cycling (phonetic) back up,
13 and, in fact, you're showing us those people -- I'm
14 just looking for a chart.

15 MR. LOVELACE:

16 You're saying a map?

17 MR. BOURQUE:

18 Well, some kind of chart to give us an idea of
19 what the salinity should be in Kaplan --

20 MR. LOVELACE:

21 Oh, okay.

22 MR. BOURQUE:

23 -- versus Eunice and south of the Lake Arthur.
24 Because at your last meeting, they asked about that.
25 They complained about the water being too salty.

26 MR. LOVELACE:

27 Right. And what --

28 MR. BOURQUE:

29 And I want to see if it did change from the '50s
30 until now.

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 MR. LOVELACE:

2 We do monitor chloride content in several wells.
3 We have about 20 wells in the Chicot, so that's a huge
4 expanse that we're monitoring chloride in, and we're
5 not seeing much change in the rice farming areas in
6 those wells.

7 Now, there are some points, like south of
8 Abbeville, there's an interconnection between
9 Vermilion River and the Chicot Aquifer, and there's a
10 shallow sand there and we see those wells becoming
11 more salty, so there's a -- there is a salty area
12 around -- but that's been there. It's been known for
13 a long time. That area, there's an area up in
14 St. Landry Parish that's getting saltier. The --
15 they're asking about, the Gueydan area, is also an
16 area.

17 In those areas, the salt water is closer to the
18 surface. It's about 400' or less down, and if you
19 pump heavily in those areas, like during drought,
20 years they can pull salt water up into the wells.

21 The project we did with the Rice Research Board
22 and the Ag Center was specifically to look at chloride
23 and specific conductance at the wells, at the
24 irrigation wells. And we made some maps from historic
25 data from around the area as to what sort of
26 conductance in chlorides could be expected in
27 different areas. And maybe that might help you out
28 more than anything. I can give you a copy of that
29 report after the meeting.

30 It also has a chart -- someone had asked, what
Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 the effects -- you know, how salty does the water have
2 to be before it starts affecting rice? There's -- the
3 LSU Ag Center developed a chart for that some years
4 back, and I included that into the report and tied it
5 to grains per gallon, which I'm not familiar with the
6 term, but we tied that to milligrams per liter
7 chloride and also the specific conductance.

8 MR. ANGELLE:

9 So, John, obviously, from the Ground Water
10 Commission, the gentleman had a great question. It
11 would be important, as we're driving towards a
12 management plan, at least in my mind, that we need to,
13 not only have an idea of number of wells, volume, the
14 kind of statistics that we all talk about with regards
15 to quantity, but it would be good for the Commission
16 to have in the ground water management plan a review
17 of salinity levels by, you know, geographic areas, I
18 guess, monitoring wells or whatnot, over a period of
19 time to see how those salinity levels have increased,
20 decreased, whatever may be the case. It would seem
21 like to me that would be an early warning sign or a
22 concern for management to pay attention to those kind
23 of things.

24 MR. LOVELACE:

25 And we've been looking at that for a long time.
26 We have the model (phonetic) network with DOTD. This
27 specific project with the Ag Center and Rice Research
28 Board, we were looking -- because this same thing came
29 up. Those drought years in the late '90s, farmers
30 were saying, hey, our wells are getting salty. We

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 went out, we did a three-year study. We asked -- we
2 distributed sample bottles to the farmers, asked them
3 to bring them in, we would test their water, and we
4 did this for a couple of hundred wells scattered all
5 through the Chicot, and we did not see the kind of
6 problems that they were saying they were having.
7 There was one well where the chlorides were obviously
8 going up over in the Iowa area, but that's -- that is
9 another area where there is high salt.

10 But part of the project was to establish sort of
11 a baseline across the area, get as many samples from
12 as many wells as we could, and I guess, if the problem
13 arose again, we could go back and sample those same
14 wells or they could bring in samples again, and we
15 could try -- you know, look at it again to see if they
16 were really any changes.

17 Lots of times -- we hear a lot of anecdotal
18 information, people saying, hey, our water quality is
19 changing, and when we go and look, lots of times, we
20 just don't see it.

21 MR. ANGELLE:

22 One of the things, it's not so much I'm concerned
23 about checking it again as much as there is of wanting
24 the Ground Water Commission to have the historical
25 information, have it part of our vital statistics, if
26 you will, have it out there on our Ground Water
27 Resources website so that folks who have concerns can
28 get to that information rather easily in one place. I
29 know that we're probably linked up with U.S.G.S., but
30 those are some things that I don't want people have to

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 come through different windows to get to. It's
2 something that I want to be very, very forward and out
3 front with regards to interaction with the public,
4 because I think it's very important.

5 MR. LOVELACE:

6 Okay.

7 MR. ANGELLE:

8 Thanks.

9 MR. WELSH:

10 John, is there not a great deal of rebound in the
11 agricultural cone of depression when it's not rice
12 farming season?

13 MR. LOVELACE:

14 That's correct.

15 MR. WELSH:

16 About how many feet; do you --

17 MR. LOVELACE:

18 Between 5 and 20 -- 5 and 30'.

19 MR. WELSH:

20 So that -- what time of the year that you take
21 these samples would have a bearing on chlorides, too,
22 I guess.

23 MR. LOVELACE:

24 That's right.

25 We did look at a couple of wells over in Cameron
26 Parish which were mildly impacted by saltwater just to
27 see. We measured conductance in those wells hourly
28 while they were pumping, just to see what was
29 happening, but, typically, they're pumping for a
30 matter of days to a week then they turn off the pumps,

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 and a month later, they'll pump again, and they'll
2 have -- they'll pump for five or six different pumping
3 events during the year to replenish the fields,
4 refresh the fields, whatnot. When we're looking at
5 that, what happens when they turn on the pump, is the
6 salt going up? What happens during the season? Is
7 the salt going up when they turn it off? Next season,
8 you know, six months later, when they turn it on, is
9 there any change?

10 And what we saw is, when they turn on the pump,
11 the conductance or chloride level was lower, but over
12 a matter of 12 hours, it went up and it stabilized at
13 some level, and it really didn't go very much past
14 that level. Then after a week, they turned it off.
15 It was off for a month or so, and they turned it back
16 on, it started that low level again and went back up.
17 It never got -- the wells never became saltier. There
18 -- but they did seem to be slightly fresher when they
19 first turned them on, for whatever reason.

20 It could be leaking of fresher water at the top
21 from the shallower part of the casing down into just
22 the -- into the well casing, so when they turn it on,
23 they're getting a little bit of fresher water first.
24 There could be some sort of stratification in the
25 well. I'm not really sure, but we didn't see the
26 wells getting saltier over time, either during the
27 event or during the season or over three-year's time.

28 MR. OWEN:

29 John, you're saying -- we're doing our best to
30 keep you from addressing the subject at hand, but if
Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 you will entertain one more question and fully answer
2 this gentleman's question about salinity in the
3 Chicot. Is it necessary on the south end of the south
4 side of Chicot to distinguish between the Upper and
5 the Lower Chicot? Because we have found in the New
6 Iberia area that the Lower Chicot is actually changing
7 its salinity as opposed to the Upper Chicot, and
8 invariably, it may depend on which of those sands that
9 they exist is two separate sands the well is actually
10 developed in.

11 MR. LOVELACE:

12 That's right. And we're seeing changes over in
13 that area, too. Generally, I'm seeing freshening in
14 our monitoring wells, similar to what you're seeing,
15 but -- we have one monitoring well in Iberia Parish
16 and one in St. Mary Parish, and they're both getting
17 slightly fresher over time.

18 I think that break between the Upper and Lower --
19 I haven't really looked very much in that area to see
20 what it's like. I really don't look at the Lower
21 Chicot that much. I know it is used in more of the
22 eastern side. In the Lafayette area, there are wells
23 in the Lower Chicot, but most of the work that I have
24 done has been kind of more looking at the Upper
25 Chicot, because we do -- it's where we start grading
26 of the saltwater in a lot of areas.

27 This graph is showing the changes in pumping over
28 time, and you can see that pumpage now is not all that
29 different than it was back in the '50s and '60s in the
30 Chicot. It's pretty much stabilized. There has been

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 a period where pumping was -- withdrawals were rapidly
2 increasing, but that's tapered off and pretty much
3 stabilized since the '80s.

4 I'm going to show you a couple of cross-sections
5 just to give you an idea of what the aquifer is like,
6 and the -- it slices from the north, going down about
7 1,500, 1,600' along these lines, runs essentially
8 north-south from Vernon Parish down through Cameron
9 Parish to the Gulf, and the other one is going to be
10 along the -- basically along I-10.

11 So this is sort of an idealized view of what the
12 Chicot Aquifer looks like, and this is kind of
13 compressed laterally. This is -- from north to south,
14 it's really about 90 miles, so it would be -- if I
15 stretched it out, it would be a very thin, narrow
16 strip, and you can see the vertical scale going about
17 1,600', so that's 90 miles --

18 And you can see, the red area -- oh, I'm sorry.
19 The blue area is where you have fresh water, the tan
20 is confining clays, the red is where there is salt
21 within the sands. I put a green-dash line in there to
22 mark the base of the Chicot, and beneath that, you
23 have got the Evangeline, and beneath that, you have
24 the Jasper Aquifer.

25 In the Lake Charles area, in Calcasieu, and
26 Cameron Parish, we've divided it up into three sands,
27 the Chicot Aquifer, and they're named after their
28 depth in the industrial area. Most of the pumping
29 over there is actually in the 500' sands.

30 There is concern that heavy pumping from the
Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 aquifer in the middle of the parish will pull some of
2 the saltwater out. Saltwater is denser than fresh
3 water, so it typically hangs what we call downdip in
4 the aquifer. You can see, the whole thing kind of
5 dips towards the coast, so it stays downdip and really
6 moves along the base of the aquifer. It stays near
7 the base because of the density of it. There is some
8 concern that the saltwater will move up along the base
9 of the aquifer because of pumping in the Lake Charles
10 area.

11 And as far as water levels -- and I do have a
12 line showing what water levels were like in about
13 2005. You can see the dashed line near the top, and
14 you can see, it's well above the top of the aquifer
15 and typically anywhere between 700' plus of fresh
16 water beneath that line.

17 MR. HOLLINGSWORTH:

18 John, could I ask a question?

19 MR. LOVELACE:

20 Yes, sir.

21 MR. HOLLINGSWORTH:

22 The Chicot is a really prolific aquifer, as I
23 understand it.

24 MR. LOVELACE:

25 Yes, sir.

26 MR. HOLLINGSWORTH:

27 It recharges pretty quickly, and there's an
28 enormous usage on it, but it recharges at a very high
29 rate?

30 MR. LOVELACE:

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 Yes, it does.

2 MR. HOLLINGSWORTH:

3 Has there ever been an analysis done to study
4 whether the turnover in the aquifer, itself, that is,
5 large volume of new water, large volume of outgoing
6 water, the turnover process, itself, does that
7 contribute to the saltwater if it gets a certain
8 level; have there ever been any analysis done on that?

9 MR. LOVELACE:

10 We have done computer models of the Chicot
11 Aquifer that shows inflows and outflows. I haven't
12 really seen any effect on the saltwater.

13 You're asking -- I'm not quite sure what you are
14 asking, as far as how the saltwater would be affected,
15 if there's a flushing going on?

16 MR. HOLLINGSWORTH:

17 Well, I -- that's what I'm asking. Is there so
18 much new water coming in and such an enormous volume
19 going out that you've got a change -- you've got an
20 exchange going on all the time, is that contributing
21 to maybe pulling saltwater into the system that you
22 might not get any other way?

23 MR. LOVELACE:

24 No. Because there's -- what's happening is that
25 the saltwater or -- the fresh water most of it is
26 recharging up in the recharge area, up there in Vernon
27 and Beauregard Parish, and it's moving southward, and
28 what is, you know -- before there was any pumpage,
29 that water moved down -- downdip until it encountered
30 the saltwater, and it sort of pushed against the

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 saltwater, that's where the aquifer is confined, and
2 it held the saltwater back. And because of pumping
3 now inland, there is not that pressure on the
4 saltwater anymore, and that's what is precipitating
5 the saltwater movement, and the -- you have saltwater
6 that may come up from the coast or a little from the
7 Atchafalaya Basin and possibly up from the bottom of
8 the aquifer, but it's just that whole change in the
9 pumpage -- the flows in the area that's contributing
10 to the areas where saltwater is an issue. Saltwater
11 has always been there --

12 MR. HOLLINGSWORTH:

13 So your water level hasn't changed any?

14 MR. LOVELACE:

15 The water level has changed.

16 MR. HOLLINGSWORTH:

17 Okay. So there's less pressure on the saltwater?

18 MR. LOVELACE:

19 That's right; that's right.

20 MR. LOEWER:

21 John, several years ago when we were in a
22 drought, we asked some of these same questions, and it
23 was interesting to note in your answers that the
24 pressure -- that the problem was not the flow of the
25 water, it was the pressure on the water, and what --
26 for laymen to -- for me to understand it, it was very
27 revealing that it's the pressure that keeps it back.

28 MR. LOVELACE:

29 Right.

30 MR. LOEWER:

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 And this is not a bathtub filled full with water
2 that you take it from any place and then someone
3 lowered the levels. It's really a pressurized,
4 contained system.

5 What was really interesting, as you say that and
6 while it's highly recharged, I think you had mentioned
7 the fact that the flow of water from north to south,
8 it takes decades for it to move.

9 MR. LOVELACE:

10 That's right.

11 MR. LOEWER:

12 It's not like when it rains there and Morgan City
13 sees it tomorrow.

14 MR. LOVELACE:

15 -- decades, centuries, maybe even --

16 MR. LOEWER:

17 For that same water to -- when you say "new
18 water," "old water," that new water doesn't get to
19 Kaplan very quickly, from what I understand.

20 MR. LOVELACE:

21 That's right.

22 MR. LOEWER:

23 Just to share a layman's view of it, it's the
24 pressure on it, that's really --

25 MR. HOLLINGSWORTH:

26 So, it really -- it can't be there to relieve
27 that pressure, is what --

28 MR. LOEWER:

29 Right.

30 MR. LOVELACE:

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 That's right.

2 MR. HOLLINGSWORTH:

3 Right. Which exacerbates the problem where it's
4 got heavy withdrawal.

5 MR. LOEWER:

6 Plus, it reduces the pressure, the heavy
7 withdrawal.

8 MR. LOVELACE:

9 Looking at that east-west section, you can see,
10 there is saltwater in the base of the aquifer, in the
11 base of the lower sand.

12 And if you'll look east of Calcasieu Parish, you
13 see, there -- it's basically divided into an upper and
14 lower sand. There's very little clay in there. It's
15 a pretty big, massive sand, and that's why it's such a
16 good aquifer. The sand grains are medium to coarse,
17 and it's capable of transmitting a lot of water.

18 Again, we show the water level there at the top.
19 You can see, it's -- in both of these, there's a below
20 point in that water level, and that's where the
21 pressure is lowest, so with the pressure change, the
22 water movement is going to go towards where that
23 pressure is lowest.

24 MR. BOURQUE:

25 John?

26 MR. LOVELACE:

27 Yes?

28 MR. BOURQUE:

29 Does U.S.G.S. still estimate that you lose 1' of
30 water per year, or do you have a chart to tell these

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 folks in the Chicot how much is lost per year?

2 MR. LOVELACE:

3 Yes. I am going to show you that in a minute.

4 MR. BOURQUE:

5 Okay.

6 MR. LOVELACE:

7 And this is a water level map. I'm simply
8 showing where the water levels are lowest and the
9 direction of water movement. And as Mr. Loewer
10 pointed out, that water is not moving very fast. It's
11 a very slow process, but it is moving towards the --
12 this long, elongated, irregular cone of depression.
13 Those water levels are up here in southern Evangeline
14 Parish, and all across Acadia and parts of Jeff Davis
15 Parish, water is lowest.

16 And the little arrows, which you probably can't
17 see very well, but they're showing the directions of
18 the water movement. This is a recharge area up here,
19 water moves down, but it's -- instead of moving all
20 the way towards the coast like it used to, it gets
21 intercepted in this area, and now water levels are
22 lower here (indicating). So we do have the gradients
23 for water to move from the eastern and southern
24 extents where there is saltwater in them towards the
25 pumping areas.

26 Let's talk about the chain of perspective in this
27 map, but let's reorient you a little bit here. Here
28 is Acadian Parish, Jeff Davis, the eastern side of
29 Calcasieu. This green blob down here is where we have
30 a fresh water/saltwater interface in the aquifer.

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 It's fresh water on top of the saltwater. South of
2 this line, there's no fresh water in the Chicot at
3 all, but in this area, there's fresh water on top,
4 and, typically, people in this area are pumping it
5 from the upper part of the sand where there's fresh
6 water.

7 Now, you can see a couple of little, odd shapes
8 here, and those are south of Abbeville and over in
9 Gueydan and the western side of Vermilion Parish,
10 those are areas where the saltwater is only about 400'
11 down. So if you have a 300' well and you're pumping
12 pretty hard on it for an extended period of time, you
13 do run the risk of pulling some of that saltwater up
14 off the bottom of the aquifer into your well and
15 putting the saltier water on your fields.

16 Here are graphs of three wells in the Chicot
17 Aquifer, and two -- the top two are the Evangeline and
18 Acadia Parishes. You can see the large fluctuations
19 caused by seasonal pumping for agriculture, and you
20 can see long-term declines there since the '60s. We
21 ran this back to the beginning of the century. It
22 just goes up and up, where we have about 100' decline
23 over 100 years in the aquifer, but you can also see
24 that water levels haven't changed a whole lot in the
25 past 20 or 30 years or so. They've been relatively
26 stable. There was some decline in the '90s, but other
27 than the fluctuations, the change hasn't been a whole
28 lot.

29 And this map simply shows areas where there is
30 large, seasonal fluctuations, and in this area, there

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 is a risk, you know, the 20 and 30' fluctuation, some
2 of the shallower wells may be impacted often,
3 especially domestic wells. They're trying to -- you
4 know, wells typically cost more the deeper you go, so
5 homeowners try and cut their costs. They put the well
6 kind of as shallow as they can but try and be safe,
7 but typically, those are the first wells that are
8 showing up, start having problems, when water levels
9 decline. And it's kind of the greener areas here
10 where we would expect to see any problems with water
11 level declines.

12 And, Mr. Bourque, this is what you were talking
13 about. This is -- shows seasonal change -- or I'm
14 sorry -- long-term changes, a ten-year period of
15 change, in the Chicot Aquifer. From 1990 to 2000,
16 that was the time when we did see that drop in water
17 levels across the area, and we saw about a 1' per year
18 drop in -- especially in the rice farming area. But
19 we realized there was a lot of -- there was several
20 years of drought in the late '90s, and when we redid
21 this map from '95 to 2005, we were only getting about
22 a half a foot per year drop across the Chicot.

23 So when you start looking at how much water there
24 is in the Chicot, 700' plus, a half a foot per year
25 can go a lot of years without having a whole lot of
26 problems.

27 A different scenario in Calcasieu Parish where
28 they're pumping from the 500' sand, there's a very
29 deep, concentrated cone of depression over the
30 industrial district.

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 I moved my slides around.

2 And anyway, there is saltwater at the
3 Calcasieu-Cameron Parish line, and because of the
4 gradient here, water is moving towards this cone of
5 depression. There is a potential for that saltwater
6 to move north. And we do have three monitoring wells
7 along that interface. They are all showing some
8 slight increases.

9 So, in summary, we do have some declines. We do
10 have saltwater encroachment in some areas. Really,
11 the only place we're seeing the -- any real --
12 interface seems to be at the Calcasieu-Cameron Parish
13 line in the 500' sand, but with those, you do have the
14 gradients there for saltwater encroachment. We're
15 continuing to monitor the area and trying to watch and
16 see if anything does happen.

17 I'm going to go right into the second --

18 MR. BOLOURCHI:

19 John, question.

20 MR. LOVELACE:

21 Yes, sir.

22 MR. BOLOURCHI:

23 You mentioned the water use in Calcasieu Parish?

24 MR. LOVELACE:

25 Yes.

26 MR. BOLOURCHI:

27 And you do have a water level surface in 1995.
28 Would you say something about why is the water level
29 -- since -- from 1985 to today --

30 MR. LOVELACE:

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 Okay.

2 MR. BOLOURCHI:

3 -- and the reason for it?

4 MR. LOVELACE:

5 Okay. The lower graph, if you go back to the
6 chart that had three graphs on it, water levels and
7 wells, the water level, the well at the bottom is in
8 the Lake Charles industrial district, and it's
9 screened in the 200' sand. Now, that well is -- that
10 sand is not -- it is really used for domestic
11 purposes. There's a little bit of pumping from it but
12 not a whole lot. Most of the pumping in the Lake
13 Charles area is from the 500' sand, a little bit from
14 the 700, but the aquifers are pretty well
15 interconnected, so everything that happens in the 500'
16 sand affects the other sands.

17 As you can see, in this graph, in about 1982,
18 water levels rose abruptly, and that's because the
19 Sabine River Diversion Canal was completed and about
20 half the water that was being pumped in Lake Charles,
21 the ground water, about half that pumpage stopped, and
22 they started taking water out of the Sabine River
23 Diversion Canal. And water levels in the 500' sand
24 rose 60 to 70' over about a six-month period.

25 And this is the 200' sand, water levels that felt
26 a change transmitted through the sands into the 200'
27 sand. We saw a 10 to 15' rise in that sand, also.

28 But that was a big event over in Lake Charles
29 when they started using that water, that solved a lot
30 of their water problems in a very short period.

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 MR. FREY:

2 Was that industrial use or municipal use or both?

3 MR. LOVELACE:

4 Most of the use out of the Diversion Canal is
5 industrial use. There is one public supply over there
6 that's using water from it, but it's pretty much
7 industry making that change.

8 MR. PRATT:

9 Wasn't the Diversion Canal constructed to discard
10 irrigation purposes?

11 MR. ANGELLE:

12 Mr. Pratt, you want to speak in the microphone?

13 MR. PRATT:

14 Sure.

15 MR. ANGELLE:

16 Identify yourself for the court reporter.

17 MR. PRATT:

18 Mr. Bolourchi is very familiar with this --

19 MR. ANGELLE:

20 Your name, sir, your name for the record.

21 MR. PRATT:

22 Jim Pratt, Sabine River Authority, State of
23 Louisiana.

24 The Diversion Canal was made -- built primarily
25 for the agricultural and industrial customers at that
26 time. It was actually conceived back in the early
27 '70s. It came around, of course, in '82. Department
28 of Public Works, which Mr. Bolourchi was involved
29 with, constructed a transfer to the River Authority in
30 the early '80s.

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 Currently, we run 20 billion gallons a year
2 through this system. It's primarily industrial.
3 There are two refinery plants, Conoco-Phillips and
4 CITGO. We no longer have a municipal water supply on
5 that. They went to another source. So it's all
6 industrial, with the exception, we have a small number
7 of agricultural customers that still buy water from
8 us. But I'd say 98, 99 percent of it is industrial.

9 FYI, we're at about 30 percent capacity of what
10 we can deliver. So we're delivering about 20 billion
11 gallons a year from the Sabine River. Through that
12 system, we could increase that three-fold.

13 MR. LOEWER:

14 Is it pumped or natural flow?

15 MR. PRATT:

16 No, it's pumped. It's pumped at the river,
17 raised about 27', and then it's a natural gravity flow
18 through a canal system. But we do have two pump
19 stations in the west Lake Sulfur area where we put it
20 into a pipeline and go on over to the Lake Charles
21 industrial park.

22 MR. ANGELLE:

23 So the elevation of the Sabine River and this
24 canal is a 27' difference?

25 MR. PRATT:

26 Correct. We lift it right at the river, so from
27 the river to the industrial area, it's a gradient up
28 north, so that we don't have to use any pump stations
29 until we get into our pipelines.

30 MR. ANGELLE:

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 Is it cost effective for you based on the amount
2 of revenue that you generate from your sales to run
3 the cost of the pumps?

4 MR. PRATT:

5 Originally, when it was conceived, by the time
6 the bonds were issued in the early '70s and the
7 customers came online to completion, no, it
8 necessarily was not. Although we did not have to
9 supplement operations, but the original bonds were
10 forgiven by the State.

11 We just renewed our contracts this past July with
12 all industrial customers, and the rate that we charge
13 in the canal is around 18 cents per 1,000, 22 cents
14 per 1,000 with pipeline, and all the customers were
15 more than willing to sign up for that. But that gives
16 us a reserve account to do our capital improvements
17 and maintain the system, so it works very well, from a
18 financial perspective.

19 MR. ANGELLE:

20 What would be a rate that you -- that, you know,
21 a typical homeowner would be paying, or commercial
22 customer would be paying, from a system across the
23 state, just, I mean, 10, 12, 8?

24 MR. PRATT:

25 Typically -- well, the water out of Toledo Bend
26 Reservoir brings us 15 cents per 1,000, and we're
27 delivering it actually through the system for 18
28 and 22.

29 Comparatively, industrial customers has come to
30 us that have looked at the Beaumont area for location.

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 We get those from the Lower Neches Valley River
2 Authority, and their prices were comparable to ours, a
3 little bit more, but we're still well within the
4 market, from an economic feasibility perspective.

5 MR. ANGELLE:

6 Anybody know what the average Louisiana resident
7 is paying?

8 MR. HOLLINGSWORTH:

9 Yes. I know what --

10 MR. ANGELLE:

11 What are the rates in Ruston?

12 MR. MAYS:

13 Nothing.

14 MR. ANGELLE:

15 It's free?

16 MR. MAYS:

17 Well, just the distribution.

18 MR. ANGELLE:

19 No, but, I mean, it costs money to deliver it to
20 -- I'm assuming that the residents have to pay a
21 monthly bill, and it's something based on value; is
22 that right, Mickey?

23 MR. MAYS:

24 Yes.

25 MR. ANGELLE:

26 So what is that rate for 1,000, I guess what I'm
27 looking at?

28 MR. HOLLINGSWORTH:

29 It's about five or six cents.

30 MR. ANGELLE:

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 Five or six, okay. I'm just trying to get a
2 comparison.

3 John?

4 MR. BOLOURCHI:

5 Mr. Chairman?

6 MR. NEILSON:

7 John Neilson, Water District No. 1.

8 I think you're talking apples and oranges,
9 because when we deliver potable water at our
10 commercial rate, at our system, is \$3.00 a 1,000, and
11 \$3.25 for homeowners, but what Jim was talking about
12 is just raw water out of the river, so it's -- there's
13 a lot of difference in the water quality, and, of
14 course, that makes a difference in the price.

15 MR. ANGELLE:

16 Yes.

17 MR. BOLOURCHI:

18 Mr. Chairman?

19 MR. ANGELLE:

20 Yes, sir.

21 MR. BOLOURCHI:

22 I think this -- the -- providing the water to the
23 industry and to irrigator at the time the Chicot
24 Aquifer was really -- the water level was going down,
25 I think this is really -- we need to congratulate the
26 State and the legislators for providing the fund, for
27 stepping to the front and do something about it.

28 A lot of people keep talking about, you know, the
29 water level is going down and all that, and maybe they
30 should take this group off the -- off from using the
Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 water and all that, but that's not going to work.

2 I think our job is to come up with solution, and
3 that was an excellent solution, that we provide water
4 as much as they need. We brought the water to the
5 back doors of the industrial complexes of Calcasieu
6 Parish, that is a good example of what can be done.

7 Now, on the other side, the owner can do
8 something about it, that's in Morehouse Parish in
9 northeast corner of our state. The International
10 Paper, we worked with them ten years ago in regard to
11 their wells, et cetera, et cetera, and they went --
12 started using surface water about 50 percent, and the
13 water level came straight up.

14 So the Chicot, and also in Morehouse Parish, it
15 shows that aquifers are a living thing, and when you
16 move away from pumping, the water level comes right
17 up, so it's not all lost. The aquifers recharge.

18 A good example John mentioned that, in 1984,
19 within six months, the water level came up 20', but
20 overall, really, it was more than 20'.

21 Thank you, John, for the explanation.

22 MR. ANGELLE:

23 Thank you. Good comment.

24 MR. BOURQUE:

25 One other thing I'll add, Bo said that is the
26 best thing Calcasieu Parish could have ever did for
27 commercial and residential -- in a residential area.
28 So these larger wells, 4-inch wells, had a static
29 level between 100' and 140' in the '70s, so it's
30 easier to make them shallower. Now, the same wells

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 had a static level between 50' and 60'.

2 Now, as you move closer to Texas (phonetic), it's
3 a little lower, but it shows that what was done in
4 Calcasieu Parish was excellent. It helped industrial.
5 It just changed the world all together, because
6 Calcasieu Parish would have been in trouble with
7 water, if something wouldn't have got done in that
8 time. Whether it's rough water or treatable, it still
9 helps them -- it helps the Chicot to rebound. Of
10 course, it's a lot in there, but it can be drawn out,
11 and it can be repaired if we use water reasonably.

12 But that's something that they did that helped
13 the industry, it helped everybody in the south part of
14 the state, and that's what -- I want to make sure it
15 doesn't happen in Vermilion Parish, Iberia, the south
16 part of -- we want to see if agriculture is damaging
17 the zones full enough -- they say that agriculture
18 uses the majority of the water. It's big, big usage,
19 and some of them use surface water if they have it,
20 but the surface water is not as -- with the levees and
21 the saltwater encroachment thing. They don't use it
22 near what they used to, but they can't.

23 So we, as an industry, we can monitor some of
24 that south of us. Calcasieu Parish got a handle, but
25 Cameron, Vermilion, all that, needs the same treatment
26 Calcasieu got. They need to look at it and measure
27 it, not to suck that water back up because the barrier
28 is there. If we suck it too hard, you know what's
29 coming. We just need a formal (phonetic) vision to
30 look and see what we're doing with this industry.

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 Thank you.

2 MR. OWEN:

3 Mr. Chairman, I think that we have touched on
4 probably the easiest, most accessible, most available
5 fix to our ground water problems. In so many
6 instances, there are industrial uses of water which
7 can be, at a nominal cost, but with an imagination,
8 used to completely eliminate or alleviate the
9 withdrawal on our ground water supplies and diverting
10 them to surface waters.

11 And it's a matter of money, and I think that, as
12 Mr. Pratt has just pointed out, a timely application
13 of imagination and engineering to address this problem
14 has been there. It's been the salvation in your area.

15 There -- Mr. Bolourchi pointed out one area in
16 the area of Baton Rouge -- for instance, when Exxon
17 voluntarily removed its cooling water supplies from
18 ground water to river water and installed its river
19 water cooling and recirculating system. For a while,
20 Exxon was using once-through cooling water through all
21 of its heat exchangers. When they did that, we had
22 the average rise in aquifers in Baton Rouge of 15 to
23 30'.

24 MR. ANGELLE:

25 I think when we look at the suggested tasks for
26 the ground water surface management plan and getting
27 -- selecting a contractor that is going to help us
28 develop this plan over the next several months -- and
29 we'll get to that toward the end -- but one of the
30 things that we looked at was identifying those

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 situations and then trying to inventory them, if you
2 would, so that we could, if you would, to borrow a
3 cliché', identify that low-hanging fruit where there
4 is little capital costs, as you have indicated, but
5 yet, a high return on that investment. And, again,
6 you know, everybody is kind of doing their own thing,
7 and hopefully, the Commission can kind of start over
8 time bringing that together.

9 MR. OWEN:

10 Right.

11 MR. LOEWER:

12 FYI: For those of you who live in the Baton
13 Rouge area, if you go back on Interstate 10, on the
14 other side of Lafayette, I guess it is, where you
15 cross the Teche River, you see water running down that
16 Teche River. Now, it's been raining, so, naturally,
17 it's been running, but you can go there any day of the
18 year and see rough water because of the Teche River
19 Diversion Project that pumps water from -- I think Red
20 River and goes down to the Atchafalaya.

21 In our community, we've kind of laid it to rest
22 for a while, but because of the -- but there's been a
23 plan that we've tried to develop, taking Red River
24 water, and we've contacted your office before you were
25 in it, to take Red River water and run it down through
26 the Mermentau River, and what that will do then --
27 it's not industrial, but it would -- those people
28 along that water bayou would support that, then would
29 not have to use their deep wells. They could use
30 surface water for agriculture purposes.

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 There are many different ways -- like you said,
2 be creative and --

3 MR. ANGELLE:

4 Hopefully, we can lead the discussion for those
5 policy issues here and bring about those solutions
6 where we can manage the resource over the long term.

7 Okay. John, we've interrupted you enough. Why
8 don't you go ahead? You're doing a really great job
9 of kind of fielding these questions as we go, and I
10 appreciate that.

11 MR. LOVELACE:

12 Thank you.

13 Artificial recharge, what I'm going to do is --

14 MR. ANGELLE:

15 Which document are we looking at?

16 MR. LOVELACE:

17 I'm not an expert on artificial recharge. I know
18 a little bit about it, and I did a little bit of
19 preparation for this, and I'm going to give you a
20 broad overview of water use. You would be surprised
21 at how much it is used across the U.S. because of the
22 reasons.

23 But it's basically -- it's really a tool to
24 maintain or increase reliable water supplies. And
25 "reliable" there is the key, because a lot of areas
26 that have -- are using artificial recharge don't have
27 reliable, year-round supplies. They have, you know --
28 especially in the very western states, they get a lot
29 of snow melt, runoff. Their streams are frozen part
30 of the year, and so they have come up with these

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 different ways of banking water when they have it.
2 They store that water for future use, and it's used in
3 areas where there's a lot about agriculture and where
4 there's serious ground water depletion. And they bank
5 this water, and it gives them a way of stabilizing
6 their supply so they have water year around and not
7 just times when their streams are full and the
8 aquifers have a little water in them.

9 It's also -- this term is used in coastal areas
10 where artificial recharge is used to create hydraulic
11 barriers to keep saltwater encroachment back.

12 And there's two common methods for artificial
13 recharge, one is surface spreading and the other is
14 injection wells. I am going to talk a little bit
15 about both of them.

16 This is simply a schematic of a hydrologic cycle
17 showing all the different recharge you have. It's
18 your classic picture here of rainfall running into the
19 -- falling in the uplands, running down through the
20 streams. Some of the water infiltrating the ground,
21 in this case, running down through streams and out to
22 who knows where, out to the ocean eventually
23 (indicating).

24 The block here shows -- the side view, shows the
25 area underground. Where the ground is -- the blue
26 area is where the ground is completely saturated. All
27 the pore spaces in the ground are full of water.
28 Above that, the brown is where the soil is
29 unsaturated. It's simply called the unsaturated or
30 vadose out there. And around rivers, there's your

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 constant supply of water in areas where the water
2 table -- the line between the blue and the brown is
3 the water table, and where there is a constant supply
4 of water table -- or of water from rivers, the water
5 table is typically somewhere that meets the river, so
6 there's -- in this case, it's showing a constant
7 movement of water, infiltration, from the river into
8 the ground. Now, some of the water in this -- they
9 diverted it off to this little refuge area, this
10 little marshy area, over here, down into this
11 agricultural plot, and this also serves recharge the
12 ground water a little bit, so we're understanding that
13 some of it is infiltrating down through that
14 unsaturated zone.

15 In this example, they've also put in this
16 recharge basin, and this is a little reservoir
17 specifically maintained to provide recharge to ground
18 water, to the shallow surficial aquifer, in this area.
19 And basically, they keep the bottom of it clean. They
20 pretty often go through and they clean out refined
21 sediments and algae and stuff that keeps -- that would
22 inhibit recharge to the ground water.

23 MR. ANGELLE:

24 John, can I ask you to stop for a moment?

25 And can I get some staff members to help us. I
26 think we're going to have to move these tables down
27 here. I apologize for -- I mean, I am trying to
28 engage on -- and ask questions and I'm doing
29 everything I can, and I'm noticing that members are
30 also having a hard time following. So if we can get
Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 these tables moved down here by staff members so that
2 Commission members can participate in some of the
3 viewing of what is going on here.

4 Thank you.

5 (Brief recess.)

6 MR. LOVELACE:

7 Okay. So I was showing you a couple of examples
8 and this little schematic of -- this is a recharge
9 basin. It's a maintained basin. The water is
10 diverted from the river into this basin and used to
11 recharge the shallow aquifer system.

12 And, also, on here, they show an injection well.
13 The well was pumped down in the confined aquifer.
14 This red zone here, I'm guessing, is a clay-confining
15 layer. So they're pumping water deep down into this
16 deeper aquifer system. They replenish it down here,
17 and it's being -- water is being pulled back out over
18 here and it's for industrial uses. Notice, they have
19 the monitoring wells here in both, the shallow and the
20 deep zone, to monitor how the aquifer is affected all
21 across this area (indicating).

22 MR. ANGELLE:

23 And this happens in California now and some of
24 the western states?

25 MR. LOVELACE:

26 Yes, yes.

27 MR. ANGELLE:

28 The injection?

29 MR. LOVELACE:

30 Yes.

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 MR. ANGELLE:

2 That must be a highly-permitted, highly-regulated
3 situation?

4 MR. LOVELACE:

5 Yes, it is.

6 MR. LOEWER:

7 Are they injecting more than industrial is
8 pulling out?

9 MR. LOVELACE:

10 What's that?

11 MR. LOEWER:

12 Are they injecting more than industrial is
13 pulling out?

14 MR. LOVELACE:

15 I don't know.

16 MR. LOEWER:

17 Because if --

18 MR. LOVELACE:

19 But I am going to give a couple of examples.

20 MR. MAYS:

21 Does California monitor the conditions of the
22 water that's injected in there? I mean, you know, do
23 they have to treat the water before it's injected?

24 MR. LOVELACE:

25 We can talk about that in a minute, but there are
26 different regulations for different states.

27 Injection wells are considered Class V --
28 injection wells for this purpose are considered
29 Class V disposal wells, which means that they can pump
30 a fluid down into -- directly into or above a drinking

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 water aquifer. So, because of that, they are
2 regulated either by EPA, or if EPA has given State the
3 primacy, then whatever State agency. Here in
4 Louisiana, I believe, right now, DOTD, DNR, DEQ, and
5 DHH, all have some oversight into injection wells.

6 MR. WELSH:

7 The Office of Conservation has primacy through
8 the State of Louisiana. With Class V wells, we do
9 coordinate our approval with those agencies he's
10 talking about, but it is the Office of Conservation
11 has the primacy.

12 MR. LOVELACE:

13 I see. So this is -- first, I'm going to talk
14 briefly about surface spreading, and, as I said, this
15 is where canals or reservoirs are used simply to trap
16 the water and allow it to infiltrate into the ground.
17 This is typically used for surficial aquifers and
18 unconfined aquifers where the water can sit there at
19 the source and slowly infiltrate down into the ground.
20 It's basically -- the high-permeable areas, and the
21 trapping the water, the flow it runs off, in these
22 reservoirs and using it to recharge the shallow
23 system.

24 There is -- like I said, periodic maintenance of
25 the ponds or canals is required to keep the pores open
26 and keep the recharge rates as high as possible. And
27 it's pretty common in a lot of countries, and most of
28 the western states seem to have some sort of surface
29 spreading projects.

30 MR. ANGELLE:

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 So it's artificially bringing water to a recharge
2 area --

3 MR. LOVELACE:

4 That's right.

5 MR. ANGELLE:

6 -- and having it sit over time and migrate into
7 the water table?

8 MR. LOVELACE:

9 Right. And typically, it's used where there's
10 just a seasonal source of water.

11 MR. ANGELLE:

12 Right.

13 MR. LOVELACE:

14 Here's an example of one. I apologize for the
15 slides, they don't fit along with the map to well, but
16 -- this is actually a recharge basis. This is
17 Dayton, Ohio, where they've been using this technique
18 since the 1930s. I was really surprised of this, but
19 they're diverting water from two different rivers into
20 a series of lagoons and ponds, and typically, they'll
21 have a high capacity -- and those ponds are maintained
22 to recharge the surficial aquifer there, and they have
23 high-capacity municipal wells right adjacent to the
24 pond. They're pumping out of that surficial aquifer,
25 so we're getting constant -- well, constant or
26 seasonal recharge there, but it gives -- recharges the
27 aquifer enough where these wells can pump year round.
28 In this case, it's for municipal purposes.

29 MR. BALKUM:

30 John?

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 MR. LOVELACE:

2 Yes, sir?

3 MR. BALKUM:

4 If construction of a reservoir is identified as a
5 beneficial means to reduce demand on an aquifer, would
6 it benefit possibly the State to locate that reservoir
7 in a recharge area?

8 MR. LOVELACE:

9 It could -- it kind of depends on if -- well, if
10 it actually is impacting a recharge to the aquifer,
11 and I'm going to give you a little example of that in
12 a moment.

13 One other example, this is over near Orlando,
14 Florida, where they were spreading treated wastewater
15 into these little rapid-infiltration basins, they call
16 them out there. You can see, there's quite a few of
17 them. The reason this water -- not for municipal
18 purposes, but for citrus irrigation, they're
19 recharging, again, the surficial or shallow aquifer
20 and so it kind of spreads out from the basins a little
21 bit, and they pump it out down the roads at wells and
22 use it for irrigation.

23 Now, this is toward addressing your question. We
24 have a computer aquifer for model -- a computer model
25 of the Sparta aquifer was developed jointly between
26 the Arkansas Soil and Water Conservation Commission,
27 U.S.G.S., and DOTD. And the Arkansas office has been
28 dealing with this model for years and years doing
29 different things, and one of the things they did was
30 looking at whether they could put these infiltrations

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 -- these recharge basins in the outcrop area and
2 affect the Sparta Aquifer in Arkansas. Because, most
3 of you know, there's -- have designated critical areas
4 in Arkansas. There are some areas where there are
5 pretty steep cones of depression and some more
6 problems.

7 And what they did was, they simulated by very
8 large canals in the recharge area and put these into
9 the model, and made the recharge from the canals into
10 the aquifer or the recharge area, they made a pretty
11 good recharge rate. And when they simulated what the
12 water level change in the aquifer would be, it was
13 about 30:3. And what they found was that they did get
14 a lot of recharge, and water levels rose as much as
15 five feet, roughly, adjacent to the lakes. And across
16 the greater part of the Sparta, because it can a
17 millennia for water to move through this porous media
18 we call an aquifer, it really -- you know, water
19 levels only rose about half a foot throughout most of
20 the rest of the Sparta. So that was their way of
21 saying, this really isn't going to work, except in the
22 recharge area directly adjacent to the -- to where we
23 put the reservoir.

24 MR. BOLOURCHI:

25 John, I think Kyle has a point. If we could
26 build a reservoir for recharge purposes, you
27 specifically locate it with the material sanded
28 (phonetic) so the water would go down. But the
29 reservoirs that we handle, the State, we have, oh,
30 10 to 11 reservoirs in various stages of planning,

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 design, construction, you don't want your water to be
2 leaking out. Because pretty soon, people around there
3 will start complaining, what kind of lake is it, it's
4 leaking?

5 But I do believe if we can locate a pond, let's
6 say, in a recharge area and fill it with the
7 floodwater from an area that is flooding, you do two
8 things. You reduce flooding downstream from the pond;
9 two, you have stored the water. A lot of it will be
10 going down into the shallow aquifers and you have the
11 stored water.

12 MR. LOVELACE:

13 That's right.

14 MR. BOLOURCHI:

15 So it does have -- we need to think about it.
16 When we're talking about conserving the ground water,
17 we have to think about alternative solutions, and
18 that's one of the solutions. Many states have put
19 that to use.

20 MR. LOVELACE:

21 Yes. So those are examples of surface spreading
22 technique for artificial recharge.

23 The other thing -- use is injection wells for --
24 these are used where surface spreading isn't going to
25 work. Surface spreading is only for the unconfined,
26 surficial aquifers. Injection wells are used for
27 deep, confined aquifers, and again, we get into some
28 periodic maintenance of injection wells, removing
29 small particles, microbial growth, chemical
30 precipitates, and some cleaning has to take place.

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 And depending on the state and the State regulations,
2 people are injecting untreated surface or ground
3 water, treated drinking water -- some states require
4 it treated to drinking water standards -- or reclaimed
5 wastewater, and that's often treated to tertiary
6 standards.

7 One of the -- one specific type of artificial
8 recharge is called the aquifer storage and recovery,
9 and this is where, typically, one or more wells is
10 used to inject water down into an aquifer or under the
11 ground for temporary storage, and later, when it's
12 needed, it's brought back out of the ground, out of
13 that same -- typically, out of that same well. And a
14 lot of the states are using this particular
15 water-banking technique to inject water to get when
16 they have it, pulling it out of a stream, unused water
17 in a stream, injecting it down, and saving it for
18 future use or for drought periods. El Paso is a
19 really good example of that. They're doing this a
20 lot.

21 And interestingly, you don't always have to
22 inject it into a high-quality water aquifer. Some
23 areas, they're injecting the fresh water down into a
24 saline aquifer. As they pump it down there, the fresh
25 water displaces the saline water, and when they pump
26 it back out again, they can, you know -- are
27 recovering -- of it, their fresh ground water or fresh
28 water that they pumped down there. There is some
29 mixing around the edges, that occurs in the -- there
30 can be some changes in the water, especially around

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 the edges.

2 It's really important in injection wells to look
3 at the chemical composition of the water you're
4 injecting, look at the composition that the water is
5 receiving it, and also, the composition of forced
6 matrix, because you can have different chemical,
7 geochemical, reactions that can change your water
8 quality, cause precipitation, all sorts of odd things.

9 Part of the challenges of injection wells, number
10 one is surface availability. Do you have a source of
11 water at the injection well?

12 And the water quality issues are pretty big.
13 They need to be studied heavily, see if there's any
14 changes that could occur. Not all aquifers are really
15 conducive enough, porous enough, that it's going to
16 work out, and in some cases, you may have gradient
17 there where it's already -- a ground water gradient
18 where it's not practical to try and store water, but
19 it is -- could be used to recharge the aquifer.

20 There's management, monitoring considerations,
21 and in some states, there's water rights and
22 intrastate, interstate water administration issues.

23 The water quality issues, as I said, if you have
24 water with different chemistries, pH, temperatures,
25 redox conditions, you can have changes occurring in
26 the casing, in the aquifer, you know, precipitants
27 falling out that will clog the well screens, clog the
28 gravel pack around, clog the aquifer matrix. So these
29 things need to be looked at pretty closely because
30 anything is done.

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 In surface spreading, sometimes you can have just
2 -- as the water moves through that vadose zone, it can
3 pick up some of the chemicals, things that are found
4 left in the soils, nitrates, salts, things that are
5 commonly left behind from agricultural use.

6 One of the things that you -- that's sort of --
7 we've had emerging contaminants, something on the
8 scene with the use of surface water, is that or -- and
9 in our wastewaters or waste streams, we're finding
10 things like pharmaceuticals and disrupters, and these
11 things aren't taken out by typical wastewater
12 treatment. They stay in the water, and if you pump
13 those down with the wastewater, they're getting into
14 your ground water source, too.

15 With injection wells, like I said, there's
16 monitoring and maintenance. Typically, if you remove
17 mechanical plugging, you'll find some precipitants and
18 also entrapped air. Biofouling is common where algae
19 builds up and microbes build up in the soil down in
20 the well, and monitoring wells are necessary. The
21 costs of maintenance and monitoring need to be
22 including in the artificial recharge project and
23 design and can be considerable.

24 We already talked about regulation. We'll skip
25 over that.

26 Here are some examples of projects in western
27 states. This was out of a 2008 journal, the Journal
28 of Southwest Hydrology. It had a little aquifer and
29 storage recovery primer in it, and it listed several
30 project in western states. See, in Arizona, there's

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 actually five projects. There's -- several of them
2 are geared toward surface spreading, as it indicates
3 there, in basins. And I just threw this in, so you
4 could see that, in these six states, it's pretty
5 common. These are southwestern states, as I gave you
6 examples. It's also common on the west coast -- not
7 only the west coast, the east coast, especially in
8 coastal aquifers that are threatened by saltwater
9 encroachment. But these folks are primarily banking
10 water for future use. They're planning to grow.
11 They've got limited supplies there now. They want to
12 be able to grow, so they're storing water for future
13 use.

14 So the injection wells are often used as a
15 variable to build this hydrologic barrier to saltwater
16 intrusion. And simply injecting water ahead of the
17 saltwater-fresh water interface and creating a ridge
18 in the potentiometric surface, keep that pressure up
19 to hold the saltwater back, that pressure that is
20 often there naturally. And typically, to build that
21 ridge, you need one or more lines or arrays or wells
22 that you're pumping water down to create a good enough
23 barrier, a solid barrier, that the water can't go by.
24 So the optimal spacing of the wells is really
25 important, not only for effectiveness, but as it's
26 very expensive to put in wells and maintain these
27 wells, so --

28 MR. WELSH:

29 Do you think that would have potential down in
30 the southern part of the Chicot?

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 MR. LOVELACE:

2 It could, but you're looking at such a large
3 interface there, it needs to be a very focused
4 project, and I'm going to give an example here in a
5 second that's going to show you why.

6 And this is -- in the Los Angeles area, they have
7 been using saltwater barriers for years. In Los
8 Angeles County -- and the adjacent counties are also
9 doing the same thing, but we found this one example.
10 In Los Angeles County, they have three separate
11 barrier well arrays that cover about 17 miles. As I
12 think about 17 miles, it's a pretty short span, when
13 you're looking at, you know, an area of saltwater
14 encroachment, say, for -- say, look at the 500' Sand,
15 where you have saltwater encroaching at a very slow
16 rate along the entire Calcasieu-Cameron border, that's
17 30 or 40 miles or so. They have 300 injection wells
18 here. They have put in 750 monitor wells to monitor
19 what's going on, and they are pumping in mostly
20 treated wastewater, but also potable water into -- to
21 a Los Angeles community. And their annual operating
22 costs, just to maintain this, is about \$3 million,
23 that doesn't count the cost to put them in, initially,
24 so it's pretty expensive proposition and they only use
25 it in very small, focused areas.

26 We have tried it in the Baton Rouge area in the
27 1,500' Sands. We have a fault running through Baton
28 Rouge. South of the fault, we have saltwater. North
29 of the fault, we have all the fresh water supplies
30 down in the -- sands, going down to about 3,000'. One
Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 of them we call the "1,500' Sand," we count on heavily
2 for public supplies. There is saltwater slowly
3 seeping across the fault into the 1,500' Sand, and we
4 have been tracking it for many years now. In the
5 Baton Rouge area, we have something called the Capital
6 Area Ground Water Conservation Commission. In the
7 '90s, they came up with the idea of putting in this
8 barrier well system between the fault and one of the
9 public supply well fields to try and build up the
10 strata levels in that area and slow the saltwater
11 movement. The original plan called for three wells to
12 create a ridge. After all was said and done, the
13 budget, only one well was put in, and it did, indeed,
14 make a mound in the potentiometric surface, but
15 unfortunately, one well did not make a barrier in the
16 saltwater. Within a few years, it moved around it.

17 This is a water level surface, these squiggles
18 here, showing in the 1,500' Sand area. This little,
19 blue area is where there is no -- we don't have a
20 1,500' Sand. It pinches out in this area, so it's --
21 there's nothing there (indicating).

22 Here is the Baton Rouge fault. Baton Rouge is
23 essentially across this area, and you can see, by the
24 shape of this, this is a cone of depression here, it's
25 a bull's eye. This is a pretty big public supply
26 field here. There's a small public supply field here,
27 another one over here. But, generally, water movement
28 is from south up here in front of the east towards
29 these pumping centers in the 1,500' Sand.

30 Right here is the connector well. We had
Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 saltwater moving across the fault here, coming north
2 towards this pumping station. The connector well --
3 we call it the connector well. It connected the 800'
4 Sand to the 1,500' Sand. There wasn't a pump on it.
5 It was just passive flow because the water level is
6 higher in the 800' Sand, so it flowed down into the
7 1,500' Sand and recharged the 1,500' Sand, created
8 this mound shown here in the water level surface.

9 What happened -- the pink area is where the
10 saltwater, and this first little lift down here, this
11 little line, is where saltwater was first discovered,
12 1966. We decided that it was only in this one little
13 area just north of the fault. By '77, the area had
14 expanded. By '87, it was up here. It was at --
15 Government Street station is here, that's a public
16 supply pumping station. It has several wells. And
17 then the Lula Station is here farther to the north.
18 It has several wells. The connector well was put
19 here. The original plan was probably to have three
20 wells across this, so that this spreading saltwater
21 front moving northward would be stopped along the line
22 here. And because only one well was put in, we didn't
23 have a line. We had a mound, and the saltwater, over
24 time, simply moved farther west, and instead of
25 immediately impacting the Government Street Station,
26 it went off, and we're starting to see very low
27 concentrations of chloride increases at the Lula
28 Station. So this concept has been practiced for a
29 little bit in Louisiana.

30 I was asked to talk about this, because, I guess,
Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 artificial recharge has been talked about in the
2 Sparta aquifer, so I have tailored a couple of slides
3 to it. I am not really sure what the focus is in the
4 Sparta, so that's the first question to ask, is, what
5 is the desired impact. Are we trying to raise water
6 levels across the region; are we trying to create a
7 barrier to saltwater encroachment; we're trying to
8 just simply bring more water to specific wells?

9 As I indicated with the example of using this
10 recharge basins in Arkansas, they wouldn't really have
11 an impact on the problems that we have in the Sparta.
12 Because the cone of depression over in Monroe is
13 simply too far from the recharge area, so spreading
14 the basins wouldn't work, except possibly if you put a
15 spreading basin near Hodge that could supply water to
16 the paper plant there, because that's very close to
17 the recharge area. That's one of the reasons why
18 there's not a big drawdown at Hodge, it's not that big
19 of a cone of depression for water level surface
20 because they are so close to the recharge area
21 already, and they have a pretty good constant source
22 of new water here.

23 So the question is, if you're going to, you know,
24 increase water levels all over -- all over the Sparta,
25 how many wells are you going to need to do that? It's
26 like, you know, having holes dug all over your back
27 yard. If there's thousands of wells in the Sparta,
28 how are you going to bring recharge to all of them? I
29 would be like having pits all over your back yard and
30 going out there with a bucket of sand and pouring it

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 out and hoping it's going to spread across all of the
2 pits. It just isn't going to happen. It's going to
3 recharge -- you know, one well is going to recharge
4 right there where you have the recharge flow.

5 So you need to figure out, if you're trying to do
6 that, how many wells do you need across the area, can
7 you recharge the whole aquifer, or are you just going
8 to try and recharge a specific area? You need to
9 figure out where they need to be placed, what sort of
10 pumping rates, and is there a source of water. What
11 would be the source of water to recharge these wells,
12 and is that water quality going to be compatible with
13 the water in the Sparta?

14 The best way of figuring out these things is
15 using a computer model. It is there for the Sparta.
16 It could be done. Figuring out optimal placement,
17 there are programs that will do this sort of stuff and
18 figure out what the impact will be, depending on what
19 impact you're trying to get.

20 MR. HOLLINGSWORTH:

21 John, to answer some of your questions, overuse
22 is what has got our Sparta in bad shape because it's
23 not recharging at a rate fast enough. It's dropping
24 two to three feet a year, and those parishes over
25 close to the recharge area are not affected like we
26 are. Those of us on the eastern edge of it are
27 enjoying saltwater encroachment, water quality
28 problems, and the level is dropping substantially, so
29 -- for instance, the State just spent \$55 million to
30 save a chicken plant in Union Parish recently.

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 business, the State spent a lot of money to save the
2 major employer. However, about three years ago, they
3 found saltwater in a well just two miles north of that
4 plant. So injection wells, in that case, would help
5 preserve a \$55 million investment, if somebody did it,
6 but I don't know -- they're going to have to treat
7 water out of Lake D'Arbonne to do that, and that
8 project is years away.

9 And I don't know what led to Baton Rouge not
10 having the budget to do two other wells to stop that
11 barrier, if that was a State problem or what, but how
12 much is it going to cost once it intrudes? I mean,
13 we've got to start asking some questions like that.
14 What are we going to do, and I think getting major
15 industry, like -- mentioned a moment ago, is -- major
16 industry and the State stepping up and helping make
17 that happen, not just from an enforcement standpoint,
18 but helping them to get past the monetary problem
19 which is the major issue there. If we've got
20 something like that, injection wells are not going to
21 solve that problem.

22 MR. OWEN:

23 Well, I'd like to say that the downside of
24 injection wells is that, you already have in every
25 aquifer in this state a highly-diversified, vested
26 interest in the aquifer. Frequently, it's just for
27 domestic consumption, and what happens is that, if you
28 are -- every user has to revert to the quality of
29 water that is being injected, whether they are
30 realizing it or -- that specific water or not. For

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 instance, if you inject raw water, say, raw river
2 water, into an aquifer, then every user in that
3 aquifer that's been there before has to regard the
4 water that he is extracting from that aquifer as river
5 water, and he has to completely change his treatment,
6 if he is using it for potable water purposes to match
7 the quality of river water.

8 If you're injecting drinking water quality, then
9 that's a different matter, but even injecting drinking
10 water quality is not a panacea, because if you ingest
11 -- inject drinking water quality, you frequently are
12 using drinking water that has a high dissolved oxygen
13 content in the water, and when you inject drinking
14 water quality with a high dissolved oxygen content,
15 you immediately oxidize the iron and manganese that's
16 in the solution. You begin to clog your sands with an
17 unusual situation. You clog the injection wells, and
18 this is a problem as far as the permeability or
19 transmissibility of the aquifer ultimately. So it's a
20 difficult -- this is not a panacea here.

21 MR. JOHNSTON:

22 You're talking about the quality. I guess it's
23 more about the quantity of water while it's
24 recharging.

25 MR. LOVELACE:

26 Uh-huh.

27 MR. JOHNSTON:

28 It's good quality, but also the quantity --

29 MR. LOVELACE:

30 That's right.

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 MR. HOLLINGSWORTH:

2 You also reach a point to where it's cheaper to
3 go ahead and treat the river water and use it --

4 MR. OWEN:

5 And use it, that's right.

6 MR. HOLLINGSWORTH:

7 -- when you inject it --

8 MR. OWEN:

9 That's exactly right.

10 MR. HOLLINGSWORTH:

11 That's kind of a no-brainer.

12 MR. LOVELACE:

13 That's what I kept coming back to every time --
14 if we're -- are we treating it to drinking water
15 standards, apparently, is the rule in this state to
16 inject it. Why don't we just pipe into where we'll
17 need it --

18 MR. OWEN:

19 Exactly.

20 MR. LOVELACE:

21 -- if we're going to be doing that? I think, you
22 know, pipelines are cheaper, in the long run.

23 I just have a couple of more slides.

24 Just illustrating the Sparta example, no longer
25 the west -- the eastern edge of the Sparta, this
26 dashed line, that is the limit of fresh water in the
27 Sparta. East of that line, there is no fresh water.
28 West of this line, for some distance, maybe several
29 miles, I know there is a larger lobe going over into
30 Union Parish, there is saltwater in the base of the
Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 aquifer. And it looks something like this, this is
2 kind of a line along I-20, the cross-section, and you
3 can see the recharge area up in Bienville Parish and
4 going through Lincoln down all the way to the Monroe
5 area (indicating.) And this vertical line is aquifers
6 and sediment, but this is the Sparta in the Monroe
7 area.

8 There's several sands. You can see, here's the
9 saltwater down here. And the issue Mayor
10 Hollingsworth was talking about is that, in the West
11 Monroe area, they have wells down in this sand. This
12 is the -- I forgot what they call it -- I think they
13 call it the 700' Sand. It's a deeper sand in the
14 Sparta there, and some of these municipal wells and
15 industrial wells are starting to see some saltwater
16 encroachment from this leading edge of saltwater. And
17 that's because the water level is lowest in this area,
18 so it's just waiting for saltwater to move westward
19 towards this heavy pumping area.

20 Here's what the potentiometric surface looks like
21 with arrows showing directions of flow, recharge here,
22 and you can see, throughout most of the aquifer, the
23 water is flowing towards this big pumping center. And
24 there's a very short distance between the -- there's a
25 very short area where there's fresh water here and
26 saltwater below it until you get into this pumping
27 center, so they are starting to see some saltwater
28 encroachment problems here.

29 This cone is so deep right here, I'm not sure if
30 -- I mean, it would take a major effort to put in a
Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 barrier well system here. You can see, this is a long
2 interface along this area. You'd probably have to put
3 an injection -- a barrier system that was several
4 longs, 10 to 15 miles long, to protect the wells in
5 this area, and -- I mean, you can pump considerable
6 amounts of water down it. Here's the water level
7 line. In 2001, it scooped down like this. You can
8 see, it's -- the water level is -- the grading is very
9 steep between West Monroe and this area where there's
10 saltwater. So the water it moving pretty fast towards
11 this, and you need to build this up and build a ridge
12 probably tens of feet high in the potentiometric
13 surface to stop -- to slow the saltwater movement from
14 the earth at this point.

15 MR. HOLLINGSWORTH:

16 John, would it be -- would it be feasibly, if
17 available, in the Union Parish area where it's not
18 that deep, and yet, there's saltwater? It's going to
19 close the plant, and the State is going to lose that
20 money eventually, and it -- would barrier wells be
21 imprudent at that point?

22 MR. LOVELACE:

23 I don't know. I'm sorry. I'm not as familiar
24 with the area. I know that there is a lobe of
25 saltwater that extends across Union Parish down
26 towards this area. It comes down from Arkansas, and
27 it comes in there. And we've always had some little
28 problem with saltwater there.

29 MR. HOLLINGSWORTH:

30 I see.

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 MR. LOVELACE:

2 Currently, it's moved enough where it's affecting
3 the wells that are --

4 MR. ANGELLE:

5 John --

6 MR. LOVELACE:

7 Yes, sir.

8 MR. ANGELLE:

9 -- the previous slide, the green outline is --

10 MR. LOVELACE:

11 That was the recharge area.

12 MR. ANGELLE:

13 Can you go to that slide?

14 MR. LOVELACE:

15 (Complying.)

16 MR. ANGELLE:

17 The one before that, okay.

18 The green, dotted line and the green, solid line
19 on the left represent the fresh water? I'm trying to
20 understand where is the geographic area that matches
21 the title of that slide?

22 MR. LOVELACE:

23 Okay. This -- between these two lines is the
24 fresh water extent of the Sparta aquifer in Louisiana.

25 MR. ANGELLE:

26 And the dark blue?

27 MR. LOVELACE:

28 That's the recharge area.

29 MR. ANGELLE:

30 Okay.

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 MR. LOVELACE:

2 This is the recharge area (indicating).

3 MR. HOLLINGSWORTH:

4 I believe the paper mill in Jackson Parish is
5 probably getting their water out of the recharge area,
6 is that the case, because they're getting it out of
7 Bienville Parish?

8 MR. LOVELACE:

9 Yes.

10 MR. COLEMAN:

11 It's close. It's not in the recharge, but it's
12 close.

13 MR. LOVELACE:

14 You're talking about the plant here?

15 MR. HOLLINGSWORTH:

16 Right.

17 MR. LOVELACE:

18 Their wells are actually in Bienville Parish.
19 The plant is physically in Hodge in Jackson Parish,
20 but they're pretty good -- they actually had wells in
21 Jackson Parish too, but they primarily pump out of the
22 wells in Bienville Parish. And I think, I don't know
23 for sure, but I'm guessing, because it's in the
24 recharge area there, it's easier to maintain those
25 wells and there's less drawdown.

26 What's important to know, although this is the
27 fresh water extent, it's not all entirely fresh water
28 in the Sparta. In this area, for some miles east of
29 this -- I'm sorry -- west of this line here, there is
30 saltwater in the base of the aquifer as illustrated on

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 here (indicating). This is the base of the aquifer,
2 and there's saltwater -- a ridge of saltwater down in
3 the base that extends westward.

4 MR. COLEMAN:

5 A question, I know we were talking about the
6 Sparta -- what is your suggestion as some solutions
7 that would be practical and sensible for the Sparta to
8 be considering to resolve its problems?

9 MR. LOVELACE:

10 There's -- what I see is, the cone of depression
11 in the Monroe area is the problem. It is affecting
12 water levels throughout the area, so throughout most
13 of the Sparta in Louisiana -- well, most of the Sparta
14 in Louisiana, so it's something -- doing something
15 about that coning, and -- whatever that would be.

16 MR. COLEMAN:

17 Then we also have a cone of depression in the
18 Ruston area and down at Jonesboro.

19 MR. LOVELACE:

20 Yes.

21 MR. COLEMAN:

22 That's encroaching us.

23 MR. LOVELACE:

24 The cone of depression near Ruston is pretty
25 small, and Jones -- in the Hodge area, it's -- you
26 know, they're minor, compared to this cone of
27 depression here, which when the folks up in Arkansas
28 draw this cone of depression on the map, they draw it
29 all up, taking Arkansas water. But, anyway, it's --
30 there's -- the cones of depression between El Dorado

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 and Monroe have basically coalesced. I mean, it's a
2 pretty long trough. This is the problem here.

3 MR. ANGELLE:

4 John, you say that the cone of depression in the
5 Ouachita-Monroe area is -- did I hear you correctly
6 say, is having a negative impact on the Sparta in
7 other areas?

8 MR. LOVELACE:

9 (Nods head.)

10 MR. ANGELLE:

11 It is; is that right?

12 MR. LOVELACE:

13 Yes.

14 MR. ANGELLE:

15 Okay. As we begin to try to formulate long-term
16 solutions, is that where, in the Sparta, you would, in
17 your professional opinion, focus the initial solution?

18 MR. LOVELACE:

19 Yes, absolutely.

20 MR. ANGELLE:

21 Okay. And the lowest-hanging fruit, in your
22 opinion, in the Monroe area, would be to -- if we were
23 trying to have a rebound, if you would, or -- and I'm
24 thinking that's the right word -- what would be, you
25 know, the -- our solutions are all -- we are always
26 depending life on the amount of financial resources we
27 have available, and so it takes identification,
28 prioritization, and the funding.

29 If you were to identify the two or three things
30 that you would think would be the best thing the State

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 could be doing in the Monroe area that would have a
2 positive impact, would it be conservation,
3 conservation, conservation; would it be
4 conservation/injection; would it be --

5 MR. LOVELACE:

6 My personal opinion, another source of water is
7 needed to get -- to relieve some of the pumpage from
8 ground water.

9 MR. ANGELLE:

10 From what you know, you do not see our ability to
11 conserve our way out of the problem, as much as the
12 need to begin to look for an alternative source of
13 water for that geographic area?

14 MR. LOVELACE:

15 Pretty much. I think there's about as much
16 conservation as going to be out there.

17 MR. ANGELLE:

18 Right.

19 MR. HOLLINGSWORTH:

20 The State has endorsed the program of using the
21 wastewater from the treatment plant at West Monroe
22 City to treat that water to a drinking water state so
23 that we could get that paper mill off the aquifer.

24 MR. ANGELLE:

25 Right.

26 MR. HOLLINGSWORTH:

27 And the State has invested a good bit of money
28 trying to make that happen, and that will -- take the
29 biggest user in that area off, although all of West
30 Ouachita uses the Sparta for drinking water purposes.

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 The three major users are the paper mill in West
2 Monroe, the paper mill at Hodge, and the City of
3 Ruston on that eastern edge of the Sparta.

4 MR. OWEN:

5 It's almost axiomatic, Mr. Chairman, where
6 surface water is available, where there's a
7 concentrated load that is made up principally by a few
8 or one uses, the cheapest solution is to take surface
9 water, treat it to those standards, and deliver it to
10 that plant and get them off the ground water. It's --
11 that's almost every time the answer.

12 MR. ANGELLE:

13 Okay. Good.

14 MR. MAYS:

15 Mr. Secretary?

16 MR. ANGELLE:

17 Yes, sir?

18 MR. MAYS:

19 I think the one thing that is unique about that,
20 from our standpoint too is, there's not another
21 aquifer down there. There's not a river that goes
22 through Lincoln Parish, so our sources --

23 MR. ANGELLE:

24 You want one?

25 MR. MAYS:

26 Yes. Can you deliver on that?

27 MR. ANGELLE:

28 Bigger promises in public life have been made
29 (laughter).

30 MR. MAYS:

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 But our options are so limited versus other areas
2 of the state, that's the one thing that I'd like to
3 point out.

4 MR. ANGELLE:

5 Would Lincoln Parish, the Ruston area, benefit in
6 some substantial proportion -- will Lincoln Parish and
7 perhaps the Ruston area benefit in some substantial
8 proportion if the Monroe situation is solved or is
9 improved?

10 MR. HOLLINGSWORTH:

11 Yes.

12 MR. MAYS:

13 Yes.

14 MR. ANGELLE:

15 John, you agree with that?

16 MR. LOVELACE:

17 Yes. Because water levels on the east side of
18 Ruston are lower than they are --

19 MR. ANGELLE:

20 Right.

21 MR. WELSH:

22 John, would it be fair to say that, in looking at
23 the cone of depression in West Monroe, the area of
24 influence would be outward to the farthest closed
25 contour?

26 MR. LOVELACE:

27 Yes. It's affecting --

28 MR. WELSH:

29 Would that be --

30 MR. LOVELACE:

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 -- pretty much all this area. You can see the
2 directions of the flow lines.

3 MR. WELSH:

4 No. This closed contour here, this closed
5 contour (indicating)?

6 MR. LOVELACE:

7 Well, I think it would really have an effect all
8 the way to here, because right here, we're getting
9 overlap of the cone of depression from El Dorado,
10 which is right up here (indicating).

11 MR. WELSH:

12 Yes.

13 MR. ANGELLE:

14 So the State's efforts in the West Monroe-Graphic
15 Packaging, combined with the leadership of Mayor
16 Norris and the City of West Monroe, represents a
17 significant opportunity for Sparta; is that correct?

18 MR. HOLLINGSWORTH:

19 Absolutely.

20 MR. COLEMAN:

21 Absolutely. We all agree with that.

22 MR. HOLLINGSWORTH:

23 And there's a water source in Jackson Parish that
24 is big enough to have a compound there that would
25 supply the needs for the paper mill in Hodges, as well
26 as --

27 MR. WELSH:

28 That lake, you're talking about?

29 MR. HOLLINGSWORTH:

30 -- the two biggest users of the aquifer.

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 MR. WELSH:

2 Caney Lake?

3 MR. HOLLINGSWORTH:

4 Right.

5 MR. MAYS:

6 Caney Lake.

7 MR. ANGELLE:

8 Okay. Good.

9 MR. HOLLINGSWORTH:

10 We just need to have a policy in the state, if
11 we're going to build a lake, that we going to -- and a
12 superstructure in there -- within there, that we could
13 use it for a fresh water source in the future.

14 MR. ANGELLE:

15 If we were to construct --

16 MR. HOLLINGSWORTH:

17 A new lake --

18 MR. ANGELLE:

19 -- a public reservoir anywhere?

20 MR. HOLLINGSWORTH:

21 It needs to have a priority use for water as the
22 number one reason --

23 MR. COLEMAN:

24 In other words, with this salvia thing that we
25 talked on these two lakes, surface water, there may
26 have to be some restrictions about people being able
27 to bring boats in, unless they're extremely clean,
28 otherwise, you destroy what you're trying to build.

29 MR. ANGELLE:

30 In those areas that are used for reservoir
Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 water --

2 MR. COLEMAN:

3 Right. If they're using recreation, as well, so
4 the primary purpose needs to be, everybody understand
5 that builds around it, the reservoir is used for
6 utilities and industry and et cetera, and the fact
7 that it's going to go down and you can't get your
8 boat in is not going to be --

9 MR. ANGELLE:

10 Right. Other than -- and I'm not sure even this
11 is right, but other than Toledo Bend, has there ever
12 been, to anybody's knowledge here, that the funding of
13 the construction -- Bo, perhaps can help me, where are
14 you at, Bo -- the funding of a reservoir, dam,
15 et cetera, for the primary purpose of providing or
16 yielding water supply?

17 MR. OWEN:

18 I would offer the Pearl River reservoir just
19 outside of Jackson, Mississippi.

20 MR. ANGELLE:

21 Yes. Here in the state, however?

22 MR. OWEN:

23 In this state?

24 MR. ANGELLE:

25 -- in the state, is anybody -- I hear what you
26 all are saying. It seems like when I hear of
27 reservoirs, I hear of reservoir funding for
28 recreational purposes, and what we're saying is
29 that --

30 MR. COLEMAN:

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 A different animal.

2 MR. ANGELLE:

3 Right, okay. I just want to make sure that --
4 you're not aware of any -- what's Toledo -- what was
5 the original --

6 MR. PRATT:

7 Water supply, hydroelectric power supply.

8 MR. ANGELLE:

9 So, to your knowledge, that's the only project
10 that began with that purpose?

11 MR. PRATT:

12 Yes, sir.

13 MR. ANGELLE:

14 And it has a recreational value, as well, but
15 that was not its original -- primary purpose.

16 MR. PRATT:

17 And those elements do conflict, no doubt.

18 The question I would like to ask John is, we're
19 talking about the Monroe area. No one has really
20 focused on the river, itself. The river is there.
21 Canals and pipelines are much less expensive than a
22 reservoir, itself. You don't have the perceived
23 recreation benefit, nor do you have a conflict. Why
24 not; why not the Ouachita River?

25 MR. HOLLINGSWORTH:

26 Well, I think one of the things is that they're
27 planning on using their wastewater treatment plant
28 effluent to do this instead of the river. As I
29 understand it, and John can speak to this better than
30 I can, but it is much more difficult to treat river

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 water than it is something with a known value, because
2 the river can change so radically, at times.

3 MR. ANGELLE:

4 What about both; what about, you know, the
5 wastewater situation having some value and then also
6 river water?

7 MR. HOLLINGSWORTH:

8 Both of them do.

9 MR. PRATT:

10 You know, for the Sabine River and the reservoir,
11 itself, we have one member here that operates a parish
12 water works district. Its sole source of water is
13 from the river. Every day -- the plants are designed
14 specifically for the water quality of that river.
15 John and his people have the water quality data, in
16 addition to our State agencies, on all of these rivers
17 that go back 100 years, typically.

18 Operating a reservoir canal system on a river,
19 the most difficult is always the reservoir, itself,
20 not only from just the -- a cost perspective, but from
21 a regulatory. You're typically at hardwood bottoms.
22 You're looking at having to take lands for that
23 project.

24 And when we talk about reservoirs, everyone
25 thinks about the economic impact it's going to have on
26 that area and all the housing boom. You can't do that
27 with a water-supply reservoir, because you will have
28 those fluctuating -- if you've got the river running
29 through there, why not tap into it?

30 MR. COLEMAN:

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 I think there's some reasons contrary to that,
2 but somebody else has their hand up.

3 MR. ANGELLE:

4 We're getting a microphone out to you, Gary, if
5 you don't mind.

6 MR. HANSON:

7 Gary Hanson, LSU-Shreveport.

8 MR. ANGELLE:

9 Yes. Thank you.

10 MR. HANSON:

11 One of the original issues that the Sparta was
12 dealing with was when they we going to move that --
13 plan forward was to have two lakes to supply water
14 from the surface, one was Lake Bistineau in
15 Shreveport. The other was to use the Ouachita River.
16 There are some water quality issues in the Ouachita
17 River, also. It may be, not necessarily saltwater,
18 but contaminant problems coming in from up north. But
19 that was supposed to be one of sources. The plan is
20 probably ten years old now, I guess, about the time
21 you came on, Gene.

22 MR. COLEMAN:

23 The Meyer, Meyer, and Hixson plan.

24 MR. HANSON:

25 Right. The Meyer's plan, so there was a plan for
26 using that water, yes.

27 MR. ANGELLE:

28 Very good.

29 MR. COLEMAN:

30 Mr. Secretary?

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 MR. ANGELLE:

2 Yes?

3 MR. COLEMAN:

4 One of the problems is, among other things, with
5 the Ouachita River is, natural contamination from the
6 soil. It is a real major problem. And as I
7 understand it, when we talked with the people in
8 Arkansas that are using that facility up there, that
9 their cost to treat that water for industrial use, not
10 drinking water, but industrial use, is roughly \$.72,
11 that's just operational costs, that's \$.72 per
12 thousand.

13 Now, by the same token, if -- I believe my
14 figures are right, the treatment of the water from the
15 West Monroe facility recycling that water, they were
16 -- it was costing them about \$.10 or \$.11 to treat
17 their wastewater per thousand gallons, initially.
18 When this system is put in place, it will only add
19 another \$.10 or \$.11, so they can deliver that product
20 for \$.22, where, doing it from the river, not
21 including capital costs, will likely be three or four
22 times that.

23 MR. ANGELLE:

24 So, as we go through the evolution or a matrix of
25 decisions in enforcing this Commission, over time, I
26 guess the reason we use ground water today is because
27 it is the cheapest and it is the most available. And
28 as we go through a sliding scale, our job will be to
29 develop those potential alternatives, and we will all,
30 as a people, want the highest quality, cheapest, next

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 best alternative?

2 MR. COLEMAN:

3 That's right. And it's got to be an ongoing
4 management situation. There is no such thing as
5 fixing it and forgetting about it.

6 MR. ANGELLE:

7 Right, right. You manage it. You don't fix it,
8 that's right.

9 Okay. Next?

10 MR. OWEN:

11 Mr. Chairman, out of the hierarchy that
12 Mr. Coleman just mentioned, it's possible that you
13 could use some sort of mixing the dilution to achieve
14 a different standard and have an entirely different
15 cost structure than he alluded to.

16 MR. ANGELLE:

17 A blended solution?

18 MR. COLEMAN:

19 And I understand that.

20 And I think El Dorado did a study on that exact
21 thing that you're talking about, and their figures are
22 available on that for people that knowledgeable, such
23 as yourself, about it, but I don't understand it.

24 MR. LOVELACE:

25 From what I understand, Monroe is using water
26 from the Ouachita River already. They're using it,
27 that's where they get the bulk of their water from,
28 the Ouachita and the --

29 MR. COLEMAN:

30 Say again now.

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 MR. LOVELACE:

2 Isn't the City of Monroe getting the bulk of
3 their water --

4 MR. HOLLINGSWORTH:

5 They get them out of Bayou Desire, which is
6 runoff, while it's connected to Ouachita, but not
7 directly out of there.

8 MR. COLEMAN:

9 Well, when they get it out of the bayou, the
10 water is -- the sedimentation and et cetera is
11 settled out in that area before they start treating
12 it.

13 MR. LOVELACE:

14 That's right.

15 MR. COLEMAN:

16 So it's a much better quality than that that
17 would be in an active river.

18 MR. ANGELLE:

19 Mr. Mays?

20 MR. MAYS:

21 Just a point, that D'Arbonne lake, when it was
22 built, included in the legislation was Lincoln Parish
23 and Union Parish able to use the water from D'Arbonne
24 lake --

25 MR. HOLLINGSWORTH:

26 Water rights.

27 MR. MAYS:

28 Water rights.

29 MR. ANGELLE:

30 It's a man-made lake; is that correct?

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 MR. BOLOURCHI:

2 That's correct.

3 MR. MAYS:

4 That's correct, and the State funded it, and
5 that's part of the legislation that created it, but
6 it's not dedicated strictly for water.

7 MR. ANGELLE:

8 Mr. Adams, at the next meeting, would you
9 research the legislation that created Lake D'Arbonne
10 and give us a -- give us some history on that, working
11 with -- folks in north Louisiana perhaps can help you
12 develop that. I think it's important that we know
13 that.

14 MR. HOLLINGSWORTH:

15 Mr. Chairman?

16 MR. ANGELLE:

17 Yes, sir?

18 MR. HOLLINGSWORTH:

19 I'm not a native Louisianaian, but Shreveport
20 gets their water out of Cross Lake.

21 MR. ANGELLE:

22 Right.

23 MR. HOLLINGSWORTH:

24 I don't know whether that's a man-made lake or an
25 incident --

26 MR. BOLOURCHI:

27 It is.

28 MR. ANGELLE:

29 Is Cross Lake man-made?

30 MR. BOLOURCHI:

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 Yes. It was an embankment for the railroad. We
2 changed it into a city --

3 MR. FREY:

4 Mr. Secretary?

5 MR. OWEN:

6 -- the water settles out.

7 MR. ANGELLE:

8 Yes, sir?

9 MR. FREY:

10 I don't want to overburden your staff, but if
11 he's going to research D'Arbonne, I would suggest we
12 research several of the lakes that are man-made
13 lakes --

14 MR. ANGELLE:

15 Yes.

16 MR. FREY:

17 -- Caney, Bistineau -- there's two Caneys,
18 there's a Caney in Claiborne Parish, there's a Caney
19 in Jackson -- Saline Lake in Winn. I can go on and on
20 and on, but you've got several man-made reservoirs up
21 there, and I'd -- you know, I'd be curious to know
22 myself, as well as -- and I'm sure -- John, you may
23 have this information, but how much current use of
24 those existing reservoirs for -- you know, for water
25 usage is happening.

26 MR. ANGELLE:

27 If you will hold that, we can talk about that
28 when we talk about the scope of services. That's a
29 great question.

30 MR. FREY:

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 Okay.

2 MR. ANGELLE:

3 And if you recall, I asked a question initially,
4 are there any lakes that were built for the primary
5 purpose of providing water supply, and the answer was,
6 no, other than Toledo Bend. And now I'm hearing that
7 there were other lakes that perhaps were built.

8 The question is, were they built with the
9 intention to provide water supply?

10 Mr. Mays has indicated D'Arbonne has legislation,
11 has something in the legislation, that says water
12 supply to a couple parishes.

13 MR. MAYS:

14 Right, water rights.

15 MR. ANGELLE:

16 So, as we move -- and you'll see what we're
17 talking about in our scope of services, getting those
18 surface-water inventory assets -- those assets
19 inventoried so we can understand is going to be a
20 very, very big part of our job.

21 MR. OWEN:

22 Claiborne, I think, also had that in their --
23 when they were constructed.

24 MR. ANGELLE:

25 Do we have any questions -- any additional
26 questions for --

27 MR. HANSON:

28 If I could say, I just remembered, there is one
29 lake in Bossier Parish, but I -- I'm pretty sure it is
30 Cypress Black Bayou, that was part of the -- the

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 reason for building the lake was to supply Bossier
2 Parish with water. They've never used it, but that
3 was water supply when it was built.

4 MR. ANGELLE:

5 Let me just make sure that I'm doing the proper
6 protocol.

7 Mr. Commissioner, would it be okay if Mr. --
8 could you direct Mr. Adams to do that? I don't want
9 to overstep the authority from which I laid down at
10 the beginning of the meeting. Would that be okay,
11 sir?

12 MR. WELSH:

13 I'll consider it (laughter).

14 MR. ANGELLE:

15 Thank you, sir. I do appreciate the opportunity
16 to work with you, sir.

17 Okay. Any other questions for John; anybody from
18 the audience have a question for John?

19 MR. NIELSON:

20 Mr. Chairman?

21 MR. ANGELLE:

22 John?

23 MR. NIELSON:

24 The City of Natchitoches, Louisiana, built Sibley
25 Lake specifically for water supply, that was the City
26 that took the initiative to do that because they saw
27 issues coming up. Now, they have had some treatment
28 problems, as well, but they -- the treatment program
29 is evolving so rapidly using in-ground (phonetic)
30 filtration and everything that a lot of these issues

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 with surface water are no longer a stop sign, so to
2 speak. I think you'll find there are a number of
3 impoundments that are built around the state, maybe by
4 municipalities and such, that are being used for water
5 supply.

6 MR. ANGELLE:

7 As we do our research, obviously, John, it won't
8 be -- your first draft won't be complete, but we'll
9 float it around and get some additional information.

10 MR. ADAMS:

11 Yes, sir.

12 MR. BOLOURCHI:

13 I was going to say, Caddo Lake, there is a power
14 plant that uses a lot of water off Caddo Lake. And as
15 a general rule, if the state has some money into
16 reservoirs, which is the larger reservoir, there is
17 always a potable water supply was one of the reason --
18 they would use as an alternative source in an
19 emergency.

20 MR. ANGELLE:

21 Okay. Any other questions for John?

22 MR. JOHNSTON:

23 I've got a question. How far does your chloride
24 database give out salinities?

25 MR. ANGELLE:

26 What's the question?

27 MR. JOHNSTON:

28 The chloride database, salinity?

29 MR. LOVELACE:

30 At least into the '40s.

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 MR. JOHNSTON:

2 The '40s?

3 MR. LOVELACE:

4 If not before that.

5 MR. JOHNSTON:

6 I just wanted to see.

7 MR. LOVELACE:

8 Yes, at least into the '40s. We have some really
9 old data, maybe into the '20s.

10 MR. ANGELLE:

11 Okay. Very good. It is a good opportunity for
12 us to take a break.

13 Item No. -- I'm assuming that we have just taken
14 care of Item 4 and 5, right, Mr. Snellgrove?

15 MR. SNELLGROVE:

16 That's correct.

17 MR. ANGELLE:

18 Item No. 6, at my request, I asked to delay this
19 presentation. I think this presentation is better
20 suited for a presentation on one of our north
21 Louisiana venues.

22 And it's my understanding, based on what
23 Mr. Commissioner just told me, that Mr. Langlinais is
24 en route.

25 So when we come back from our break, we will go
26 to Item No. 8, okay, then we'll come back and take up
27 Item No. 7.

28 We'll have a ten-minute break.

29 (Brief recess.)

30 MR. ANGELLE:

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 Our next presenter is Mr. Stephen Langlinois with
2 S.J. Langlinois and Associates, and he has requested
3 an opportunity to be on the agenda to discuss the
4 Chicot Aquifer ground water issues. That will be
5 followed by a company representative from AGL
6 Resources, which we will identify the specific name of
7 that person, who will be talking about some of the
8 issues, I'm assuming, that Mr. Langlinois will be
9 talking about.

10 MR. LANGLINOIS:

11 Thank you. I apologize profusely for not showing
12 up early this morning, but I had it on my calendar
13 that I had -- this meeting was scheduled for tomorrow
14 at 10 o'clock, and my secretary, I had it on her
15 calendar, and I got a call at 12 o'clock that I'm
16 supposed to be here this morning. So I apologize for
17 not -- I don't know what happened with the miscue, but
18 there was a miscue somewhere down the line.

19 MR. ANGELLE:

20 Well, you are not late, because when we broke,
21 you actually did Mr. Owen a favor because he was over
22 there waving over here for a restroom break, and had
23 it not been for us waiting on you, Mr. Owen would be
24 sitting over there and waving a little bit more. We
25 also apologize for the mix up, but it's not a problem.
26 You are not late, and we're ready to hear from you.

27 MR. LANGLINOIS:

28 All right. Well, thank you. I appreciate it.

29 I think some of the slides I am going to show you
30 probably have already seen before, but a lot of this
Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 may be redundant or duplicated, but there are some new
2 slides that I have here that I think would be of
3 interest to the Ground Water Commission as far as
4 issues -- to address some of the issues that you are
5 concerned about.

6 Of course, this is a slide that everybody has
7 seen where the Chicot Aquifer system is, and it
8 regenerates itself from the northern part -- let me
9 see if I can find my pointer here. You see where the
10 regeneration of the Chicot Aquifer takes place, and I
11 think this is not on your slide. This comes from the
12 U.S. Geological Survey. The amounts of water used by
13 parish, this is also another slide which has been
14 used.

15 Initially, when the problems of the ground water
16 usage came up, the number 5.1 million gallons per days
17 was going to be used by AGL by drilling two water
18 wells 250' apart, but I think those numbers have now
19 since changed because of the pending lawsuits and some
20 of the settlement issues.

21 The 100,000 population increase in the town of
22 Youngsville equates to about 10 million gallons per
23 day, so that would be the equivalent to about half of
24 the population -- half of the water usage by a
25 population of the town of Lafayette, the Lafayette
26 area.

27 Between the two drilling -- the two additional
28 water wells, it has consume the equivalent of no more
29 than two to three of irrigation wells and our
30 calculations show that this is based actually more

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 than equivalent to about 35.6 additional irrigation
2 wells. And some of the hydrologists that we have
3 spoken to in this area, in some of my work -- I have
4 drilled many irrigation wells for subdivisions as an
5 engineering consultant, and I have done many of these
6 wells, and we'll look at drawdown curves. But some of
7 the hydrologists of the some of water wells (phonetic)
8 are telling me that it could range anywhere from 15 to
9 75' and that, of course, this could cause saltwater
10 intrusion into the Chicot Aquifer, which I think some
11 of you may have already addressed earlier this
12 morning.

13 If you take the volume of gallons -- and these
14 are the calculations that I have used -- apply 5.180
15 million gallons times 365 days a year, times four
16 years, it comes out to one billion -- or one million
17 cubic feet. And then, if you take the typical farm
18 irrigation well, which pumps about 30 days a year, it
19 comes out to 27 million cubic feet, and you divide
20 that into one billion, you come out with a number of
21 36.5. So the well of 5.18 million gallons will equate
22 to the equivalent of what thirty-six and-a-half --
23 36.5 farm irrigation wells would be pumping over a
24 period of one year. Now, this is -- we're basing this
25 over an annual -- over an annual basis, an annual
26 period.

27 Just to give you some idea of -- for some of you
28 that may not be familiar with drawdowns, which I think
29 is the issue we want to address here. This is a well
30 that was drilled, and I took pictures of this well

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 being tested. It's a 10-inch water well, and I think
2 it was pumping 1,500 gallons per minute, and it was
3 being tested. And at the time it was being tested,
4 after six hours, this particular well had a 15.2'
5 drawdown at the point inside of the wellhead, okay.
6 So that gives you some idea, when we're talking about
7 drawdown levels, what capacity of wells will produce
8 what quantities of drawdowns.

9 Of course, we've seen this -- probably this slide
10 before. Groundwater withdrawals are lowering water
11 levels in some areas of the Gulf and the Chicot
12 Aquifer, and, certainly, these withdrawals are
13 creating conditions favorable to saltwater
14 encroachment.

15 Now, what I'm going to look at is some of the --
16 if you look at the Chicot Aquifer system, I'm going to
17 discuss some of the items where we are actually --
18 it's not a problem that could be happening, it is a
19 problem that is happening, and that's what I want to
20 address here.

21 You've seen this slide before, I'm sure, so I
22 don't want to bore you with some of the details of the
23 slide, but this is the Chicot Aquifer running through
24 Cameron Parish and going north and south. And then
25 this is a -- well, this is the one going -- this is
26 Vermilion Parish running north and south. And the
27 area -- let me see if I can find it. The area that
28 we're talking about is in this area right here
29 (indicating). The wells that will be drilled are in
30 this zone right here, and you can see, the red area is
Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 where the saltwater is encroaching. It is very, very
2 close to the Gulf of Mexico, and this is about eight
3 miles north of Vermilion Bay, so you see how close it
4 is to the saltwater encroaching the zone -- it is
5 encroaching, is getting into that zone as we speak.

6 This is the Cameron Parish area that shows you
7 the drawdown running from north to south, and then the
8 drawdown -- the geology running from east to west.
9 And, of course, this slide, you've seen before. It
10 shows what happens. It illustrates what drawdown
11 effects actually occur -- how it occurs, and how you
12 can actually cause a well to run dry that you can pump
13 too close to an adjacent irrigation well.

14 And I will say at this point that, in the
15 Jefferson Island and the Delcambre area, there are
16 five known wells that have already gone dry in the
17 last five years, so this is a problem that is
18 occurring. Many of the wells are having to be
19 deepened or redrilled because the water level has
20 dropped and the aquifer has dropped below the intake
21 table -- the intake of these wells, and these wells
22 are running dry.

23 This is the farming area that shows the rice
24 irrigation areas in south Louisiana, and the drawdown
25 curves of these wells that are listed in the Crowley
26 -- in the Acadia Parish area. I think it shows like a
27 -60 elevation, and it is dropping 60' from mean sea
28 level of zero. So you have about a 60' drop in the
29 water table from the edge of the Gulf of Mexico, down
30 to -- up -- or down to the middle of where it has

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 formed this crater, and so, from here to up here is
2 about 60 to 65 miles, and there is a 60' drawdown
3 right there. And I will illustrate what is happening.

4 These are some of the water levels, and it shows
5 how fast -- how quickly the sand -- the aquifer levels
6 will change. These were taken in the fall of '95, and
7 this is in the spring of '96. This is the same zone,
8 and you see the changes in the contour lines of the --
9 these are metric lines of the drawdown curves in this
10 particular area. This is in the Lake Charles area.
11 You'll notice how fast it can change from fall to
12 spring. This is fall of '95, okay.

13 Now, the impact of subsidence of water
14 withdrawal, this is a slide that was obtained from a
15 meeting that we attended. As oil-land surveyors, we
16 were called -- and engineers, you recall at the
17 meeting in Baton Rouge, right -- that would have been
18 in November or December, after Hurricane Rita. And
19 the U.S. Geological Survey and the Center for
20 Geoinformatics at LSU had been conducting some
21 elevation of the benchmarks, and they compared the
22 benchmark to elevations that they were getting by GPS
23 signals benchmarks, comparing those to what they were
24 finding on present day. And this is the results of
25 their findings, and it shows the amounts of subsidence
26 that had actually occurred in certain areas.

27 Now, you notice in one area, where you see the
28 Crowley area, there's a big -3 that shows right there
29 in front -- in the magenta or pink, that's -3' of
30 subsidence of the ground over -- since these tests

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 have been conducted. Now, what has been the cause of
2 this and what has been the reality of all this, if you
3 take a real close look at it and a close-up look at
4 it, you can see the -3, and that means that the ground
5 level has dropped, literally dropped, from where it
6 was in 1929. Now, what has been happening with this
7 zone, if you look at all of the irrigation wells --
8 and these are the monitoring wells that are published
9 by the U.S.G.S. --

10 MR. ANGELLE:

11 Excuse me.

12 MR. LANGLINAIS:

13 Yes.

14 MR. ANGELLE:

15 Would you go back to the previous slide?

16 MR. LANGLINAIS:

17 The previous slide? Okay.

18 MR. ANGELLE:

19 Did you give testimony that from the land
20 elevation in that area is 3' lower than the land
21 elevation was in 1929?

22 MR. LANGLINAIS:

23 That's what this slide represents.

24 MR. ANGELLE:

25 All right. I understand what this slide
26 represents. Do you have elevation data, ground
27 elevation data, that supports that Acadia Parish has
28 had a 3' drop in elevation in seven -- only seven
29 years?

30 MR. LANGLINAIS:

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 I am doing any work, but I know of some
2 colleagues of mine who work in the Acadia Parish area,
3 they have done GPS work in that area, and over the
4 period of time, they have had serious problems and
5 conflicts with surveyors going in and running into
6 established or published benchmarks. You take off of
7 a published benchmark and you run the elevation in,
8 you get one number, another surveyor comes from
9 another benchmark and runs it in, they are both
10 showing 11', but they are at different levels.

11 MR. ANGELLE:

12 Well, I guess my concern is, if that's the case,
13 we have buildings in Acadia Parish that are certainly
14 -- were constructed in 1929, like school buildings and
15 churches, that I'm not hearing of major structural
16 failure as the result of a sinking elevation. This
17 does impact some of my work in coastal Louisiana, so
18 I'm particularly interested in hearing. And I would
19 like for you to, please, provide the data that shows
20 what this attempts to represent, if you could.

21 MR. LANGLINAIS:

22 Okay. This slide comes from the Center for
23 Geoinformatics at LSU. They are the ones that
24 published this, and it was presented at one of our
25 surveying conferences.

26 MR. ANGELLE:

27 I certainly understand where it comes from, but
28 it is a dramatic statement to be able to say that
29 Acadia Parish, or parts of Crowley, have dropped
30 elevation 3' in 75 years, that is a dramatic statement

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 and I wanted, inasmuch as this is considered a public
2 record, you know -- and with all due respect to
3 Louisiana State University, they do some things that
4 over time have not always be accurate, as every other
5 research institution has. So I would be interested in
6 seeing the backup data to that.

7 MR. LANGLINAIS:

8 Okay. I would think I could get some of that
9 information from them, where they're obtaining the --
10 this the doctor -- the doctor from LSU who is in
11 charge of this --

12 MR. ANGELLE:

13 They've got a bunch of them.

14 MR. LANGLINAIS:

15 They've got a bunch of them, yes. But he was the
16 one -- it's him and his team that has gone out and run
17 GPS of these benchmarks that have been established
18 that we have been having problems with over the years.

19 MR. ANGELLE:

20 Right, okay. Thank you. Go ahead.

21 MR. LANGLINAIS:

22 All right. Now, this is the drawdown curves, so
23 -- what is this, I can't read it. This is too small
24 for me to read, but -- well, this in 2002? Yes, okay.

25 I took this slide, and I'm going to overlay the
26 previous slide. This slide on top of this slid, and
27 this is the overlay of the two slides combined. Now,
28 when I did this, put these two slides together and did
29 these overlays using the latest computer technology
30 that's now available, you'll look at the pink area,

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 and it lies directly south of that -- you see where
2 that -3 is located and see that -3 zone, and you see
3 where it lies south of that cone, south of that main
4 depression cone that says "Acadia" up there? Now,
5 what does that -- this is where the subsidence has
6 been occurring in relation to where the ground water
7 has been settling, okay.

8 Now, the problem that we are concerned with, if
9 that has been occurring and you pump with extreme
10 volumes of discharge equivalent to 35 wells, and it
11 may be adjusted now to -- with the new -- the latest
12 numbers that have been settled in the settlement with
13 the AGL, it could be -- I understand, it's 3 million
14 gallons per day, but 3 million gallons per day could
15 cause 15 to 20' subsidence -- I mean, not -- 15 to 20'
16 of drawdown in the area around where the well has been
17 drilled.

18 Now, for some of you are not familiar with the
19 rice-farming problem, the term that is used to
20 determine salinity in rice is the grains of salt.
21 Thirty-five grains of salt is equivalent to about 600
22 parts per million. This comes from the LSU website.
23 Now, this is what they publish as the required maximum
24 that you -- well, could put saltwater on the rice
25 crop. So the magic number here is 35 grains of salt.
26 Anything above 35 grains of salt can leave 800 pounds
27 of salt per acre at 35 grains, and if you do that
28 three times a year, it could be 2,400 pounds per acre
29 for all -- which is about all that a crop would use
30 for one year. So you should essentially -- if you put

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 three floodings at 35 grains of salt, you essentially
2 destroy the rice crop because you're putting so much
3 salt back into the soil.

4 Now, these are some wells that lie directly in
5 that path. You see the big arrow on the right-hand
6 side, these are -- some of these people are clients of
7 mine. A Mr. Charles Broussard has two water wells, if
8 you look at the black dots, he has one water well that
9 he had to shut down about four years ago that had 75
10 grains of salt -- and remember, the magic number is 35
11 -- and the other one had 70 grains. He has
12 essentially had to abandon those wells because he
13 cannot put any of that water on his rice crop.

14 MR. ANGELLE:

15 Mr. Langlinais?

16 MR. LANGLINAIS:

17 Yes?

18 MR. ANGELLE:

19 I ask this question, not because I know the
20 answer, because I'm trying to understand. If we've
21 had a 3' drop in elevation in Acadia Parish, and of
22 these slides indicated that it is the epicenter of
23 rice farming in that area, has there been any
24 withdrawal -- any regulation on the rice farmers in
25 Acadia Parish to quit using the volume of water that
26 they're using if it's causing that big of a problem?

27 MR. LANGLINAIS:

28 I don't see that there has been -- I'm not aware
29 of any regulations being applied to the rice farming
30 area.

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 And the other factor they have to factor in here
2 also, which is not -- which I just failed to mention,
3 is the Merchant power plant.

4 MR. ANGELLE:

5 Well, just getting back to the rice farming
6 thing, because I'm particular interested in rice
7 farming. If there is no regulations to it, has there
8 been any self-regulations? I mean, it's gone from 35
9 to 75 grains, in your opinion, because of what?

10 MR. LANGLINAIS:

11 Because of the slow migration of the saltwater
12 coming in from the Gulf of Mexico migrating into the
13 Chicot Aquifer.

14 MR. ANGELLE:

15 Why is that happening?

16 MR. LANGLINAIS:

17 Well, it's happening because the Chicot Aquifer,
18 in its earlier days, used to flow from the north,
19 directly to the south, and we all know water flows
20 from the higher to the lower areas. However, if you
21 look at the contour lines, what the contour lines
22 represent that the -60, that's 60' below sea level,
23 and the zero is zero, that means it is at sea level.
24 So that means that the elevation of the water at the
25 Gulf of Mexico is at zero, and in that cone, it's at a
26 -60, so there's a 60' drop in that -- in the gradient
27 -- the water going this direction.

28 MR. ANGELLE:

29 Why is that; what caused that to happen?

30 MR. LANGLINAIS:

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 Well, because there's -- if you notice, the flow
2 is flowing -- the flow of the water is flowing into
3 that depressed cone.

4 MR. ANGELLE:

5 I understand what's happening. My question is,
6 why is that happening; why is that water flowing into
7 that depressed cone?

8 MR. LANGLINAIS:

9 Well, because water flows -- hydraulically, water
10 flows -- it seeks its own levels. It flows from high
11 to low.

12 MR. ANGELLE:

13 We have a cone, and we have that problem.

14 MR. LANGLINAIS:

15 That is correct, yes.

16 MR. ANGELLE:

17 And what caused that cone?

18 MR. LANGLINAIS:

19 Well, what causes the cone, there is a lot of
20 debate on that. This area here in the Gulf has been
21 related to some -- some of the oil -- some of the -- a
22 lot of the oil -- the oil wells that were drilled in
23 this area have a lot of withdrawal. There are many,
24 many oil wells drilled in this area, and there are
25 some of them that's related to all drilling activities
26 that have lowered -- that have depleted the sands of
27 the oil, of the fluid, and you've got water that is
28 being depleted also in these zones. So the
29 combination of those two could be the main thing that
30 has contributed to the -- the lowering of the water

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 table causing the water to flow into this zone.

2 MR. ANGELLE:

3 Right. On one of your previous slides -- if we
4 could go back, if you would?

5 MR. LANGLINAIS:

6 Okay.

7 MR. ANGELLE:

8 I'll tell you when to stop. No. Back, back,
9 again, one more, right here.

10 It says that Crowley, this is the rice capital of
11 the world, in this scenario, okay. I don't see
12 anything up in there about oil and gas being a
13 problem.

14 MR. LANGLINAIS:

15 Well, the -- in the presentation that was made,
16 there is a GIS that was put together by LSU, and it
17 showed the -- it showed oil wells and water wells
18 combined.

19 MR. ANGELLE:

20 Okay. The reason I'm saying, I want to make sure
21 -- because this is a public record. I'm trying to
22 understand. Are you are making the connection --
23 because I'm not there yet.

24 Are you making a connection that the ground in
25 Crowley, the 3' drop in Crowley, is too much water
26 being used by rice farmers?

27 MR. LANGLINAIS:

28 Well, it's a lot of water being withdrawn that's
29 causing a -- causing a --

30 MR. ANGELLE:

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 Right.

2 MR. LANGLINAIS:

3 -- decline in the aquifer.

4 MR. ANGELLE:

5 Do you believe it's the rice farmers that are
6 causing that problem?

7 MR. LANGLINAIS:

8 Well, I wouldn't put blame on any one particular
9 industry, because it could be a combination of both,
10 the rice -- the rice farming area and also the heavy
11 oilfield activity that has occurred in that area over
12 the years, but I wouldn't -- you know, I wouldn't say
13 that it's anybody's one cause, but it could be -- it's
14 several factors that's contributing to the cause.

15 MR. ANGELLE:

16 Okay.

17 MR. HOLLINGSWORTH:

18 Could I ask a question?

19 MR. LANGLINAIS:

20 Yes, sir.

21 MR. HOLLINGSWORTH:

22 Hasn't it been determined in recent years that
23 oil and gas extraction in Texas has caused some
24 depressions in the earth over there, over the last few
25 years?

26 MR. LANGLINAIS:

27 I have some slides of the Houston area and the
28 Beaumont area, that I think I have them on here that
29 shows a similar scenario that is occurring -- or that
30 has occurred in the Houston-Galveston area.

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 There was a similar situation beginning to occur
2 in the Lake Charles area with all the heavy industrial
3 withdrawal from the Chicot Aquifer, and they had -- if
4 you'll look on the -- you see the blue area just on
5 that slide right there? Let me see if I can get my
6 pointer, yes. See this area right here, that's the
7 Lake Charles area, that's more subsidence -- there's
8 more subsidence that has occurred here, but there is
9 also -- in those contour lines, if you'll look back on
10 some of the older ones, you'll see, going with the
11 contour lines, where those contour lines are beginning
12 to drift south in this area right here, and it flows
13 to this area, now, it's the Crowley area -- we all
14 know, and I just showed the slides of that. If you
15 look back in some of the records of the Lake Charles
16 area, what has happened in this area, in order to
17 prevent this from becoming exacerbated from what
18 conditions that existed there before, what they have
19 done in the Lake Charles area, as I understand it, is
20 that they have put a squash to this by preventing the
21 oil -- or the heavy industry from around the Lake
22 Charles area from drawing from the Chicot Aquifer, and
23 they have dredged the industrial canal where they're
24 requiring the industry now to take surface water
25 rather than taking ground water as part of their
26 activities in their plants -- in their operations of
27 their plants.

28 But if you'll look further, you see this blue
29 area that goes off the chart here, you see Houston has
30 a very, very similar situation, but Houston is not a

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 -3. Houston is at -4, okay.

2 Now, this is not something that is occurring
3 where -- it's occurring -- you've got a -3 subsidence
4 in about a 20-mile area, so it's such a gradual thing
5 that the eye cannot detect this. It's gradual thing,
6 but you could have a home settling and the whole --
7 all four corners of the home settling at the same
8 rate, so you don't get the problems as severely as if
9 you have these contour lines being real close
10 together, where you have settling occurring more
11 substantially in one corner than you do in another
12 corner. But on a house, it's, you know -- an average
13 home, 30 by 30 or 15 by 40 or 15 by 60 or 30 by 60
14 home, 1,800-square-foot home, you would not experience
15 any cracking of slabs or that type of a situation, but
16 you're experiencing a generalized depression.

17 Now, this does not mean that this is 2' -- a 3'
18 hole. It simply means what ground elevation we had in
19 1929, they are 3' lower today than they were in 1929,
20 over this whole generalized area, okay.

21 MR. COLEMAN:

22 Could that affect flood maps where people are
23 more prone to flood because of the subsidence and the
24 lower elevations?

25 MR. LANGLINAIS:

26 I think --

27 MR. COLEMAN:

28 Could the lower elevation throw your flood maps
29 off and create problems for people to where their
30 homes to be more apt to be flood?

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 MR. ANGELLE:

2 I think I could answer that question because I
3 deal with that on a daily basis, okay.

4 MR. LANGLINAIS:

5 The question was, can the subsidence affect the
6 flood maps? Well, since Hurricane Rita, I probably
7 have done over 3,000 elevation certificates in my
8 firm. But what has happened in the Town of Delcambre,
9 Louisiana, if you'll look at the Town of Delcambre,
10 it's just to the edge of that little blue area,
11 between the green and the light blue on there, that
12 area there, the benchmark in the Town of Delcambre has
13 subsided .5', which is six inches, from where it was
14 in 1929.

15 Now, picture this. For the past 30 years, we
16 have been working off of old benchmarks, 1929
17 benchmarks. We take off a benchmark, and we run it
18 into the site, and we put a nail in a pole, and the
19 guy builds his house at that level. Another surveyor
20 comes from another benchmark, he runs the benchmark,
21 and he puts an 11' nail, and his nail and my nail
22 don't agree, and this has been going on for the past
23 20 or 25 years.

24 Now, what's the problem here? Are the surveyors
25 crazy, or is there some problem?

26 Well, when they came up with these maps and
27 indicated -- they came back and ran 12 benchmarks in
28 Vermilion Parish. The one in the Town of Delcambre is
29 5 inches lower. So what do we have to do now in the
30 Town of Delcambre? We have to take off of a benchmark

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 that we thought was 7.0 elevation above sea level is
2 now 6.5, so that means that every house in the Town of
3 Delcambre, with the new subsidence criteria, has to be
4 raised a half a foot higher than we ever thought would
5 needed to be raised.

6 MR. ANGELLE:

7 And I understand that, but I still have a problem
8 with data that shows a -3 in Acadia Parish. I can
9 understand Delcambre, -6 inches over 75 years, but -3
10 in Crowley in 75 years, to me, is hard to imagine
11 based on all the things that I've read and I've been
12 exposed to, and it concerns me. If it is -3 in
13 Crowley, to me, it's -10 in Delcambre, and that's how
14 it would show.

15 Now, I may be, as a non-engineer, having a hard
16 time understanding it. If you said, you know, it's -3
17 over a 20-mile area, I understand that, but if it's -3
18 over a 20' area, it's got to be -3 at one area.
19 Somewhere it's got to be -3.

20 MR. LANGLINAIS:

21 Well, it's -3 at -- in other words, when they
22 shot -- there's an engineer in Lafayette that works
23 the Crowley area, and we've had conversations with
24 this, and he has told me that he has gone into these
25 zones with his GPS and sat on top this monument for
26 two hours. And you've got to collect your data from
27 the satellites, and then you get -- you send it up,
28 and then they send you back the elevation. His
29 numbers are 3, you know, 2.5, 3, you know, 2.5, 2.2,
30 depending upon where he is, and he was shocked the

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 first time he did them. And I could give you his
2 name, if you would like, but, I mean, I -- we've had
3 conversations with this over the subsidence problem.
4 And I always was of the same impression as you are,
5 that we were closer to the coast, so we would have
6 more subsidence because we're farther to the south.

7 But when you look at the extent of the oil well
8 drilling activity and the water wells that have
9 occurred in the Crowley area, 100 percent of those
10 rice farmers in the Crowley area have to use ground --
11 have to use aquifer water. As you get farther closer
12 to the coast, 99 percent of your farmers will use
13 surface water, but if the surface water becomes salty
14 because of a very large drought and you get surface
15 water encroaching from the Gulf or Vermilion Bay, then
16 they revert to their water wells only as a back-up
17 event. So that's what happens in the southern part of
18 the state. But when you get up to Crowley, those guys
19 are using their water wells 100 percent of the time,
20 because they don't have tidal waters that far north.

21 MR. ANGELLE:

22 This is my last question on this, because I want
23 to understand this.

24 MR. LANGLINAIS:

25 Okay.

26 MR. ANGELLE:

27 But if I represented the rice farmers, okay, if
28 my job was to represent the rice farmers and I know
29 that there is nearly as much oil and gas activity
30 south of Crowley as there is in Acadia Parish, this

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 portion --

2 MR. LANGLINAIS:

3 Uh-huh.

4 MR. ANGELLE:

5 -- I would be very cautious by making a statement
6 on a slide that shows in the epicenter of the rice
7 capital of the world that there is a 3' drop in
8 elevation, because we've got so many -- the deduction
9 that I'm getting right here is that we've got a lot of
10 irrigation wells in Acadia Parish and that's causing
11 our problem, and we don't want somebody else to drill
12 a well which will ultimately decide upon on that
13 issue. But in the meantime, you're bringing forth, in
14 my mind, a concern that it's a problem that we have
15 today in your mind, in this public record, you said
16 that is being made by the farmers in Acadia Parish. I
17 know that's not what you're trying to say.

18 MR. LANGLINAIS:

19 No, that's not what I'm trying -- there is --
20 when you overlay the slide that shows the water wells
21 and the oil wells, there's a concentration of those
22 water and oil wells in the areas where there is the
23 greatest subsidence. Now, I'm not going to draw a
24 conclusion that, you know, the average person would
25 look at that and try to find a correlation. If you
26 have a concentration of oil wells (sic) that occur in
27 the area of subsidence, and you cover that with the
28 oil wells in the area of subsidence, what conclusion
29 can you draw. And it's a mind -- it's something that
30 is in the back of your mind, could it be something

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 else, you know.

2 MR. LOEWER:

3 Didn't we hear this morning from John that you
4 don't get subsidence until you get dewatering, and we
5 don't have a dewatering problem, we have a depression
6 problem in the Chicot, and you don't get subsidence
7 until you -- you really don't get subsidence until the
8 water table of the aquifer drops?

9 MR. LOVELACE:

10 Typically, that's right. Subsidence is not --
11 not all the city gets subsidence. It typically occurs
12 in aquifers with a lot of clay and --

13 MR. WELSH:

14 Would you mind getting on the record, John, if
15 you want to get on the record.

16 MR. ANGELLE:

17 If you would come forward, John. I'm sorry, but
18 it's an important question.

19 And just so members of the Commission understand
20 why I'm drilling down on this issue is because, if the
21 management of ground water -- the management of ground
22 water -- are we hearing that management of ground
23 water has an impact way beyond having fresh water
24 supplies for the people of this state? Okay. And
25 what I'm hearing is that it is, the withdrawal -- this
26 is what my opinion is right now, based on what I've
27 heard, is that testimony has been put forth that the
28 withdrawal of the volume of water by the users, which
29 are -- the largest user is the rice farmers in Acadia
30 Parish, is causing subsidence which leads to other

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 problems, then we've got bigger problems than I
2 thought we had, okay. Now, if that's not the case, if
3 that's not what it is, I want to correct it.

4 And maybe you all have a different deduction than
5 I got, but I went to that right away. And I
6 appreciate Jackie picking that up, because that could
7 at least put that in dispute in terms of what is
8 causing the subsidence.

9 MR. HOLLINGSWORTH:

10 And that's -- Mr. Secretary, that's based on
11 whether the science is correct or not.

12 MR. ANGELLE:

13 Correct.

14 MR. HOLLINGSWORTH:

15 And that's the question I wanted to ask.

16 Let me ask --

17 MR. ANGELLE:

18 Let -- if we could, let's let John --

19 MR. LOEWER:

20 Let John answer.

21 MR. LOVELACE:

22 The focus was for Stephen. He's probably an
23 expert on subsidence, but from what I know subsidence
24 is -- when it occurs in an aquifer situation, such as,
25 there's steep drawdowns, the water level falls below
26 the top of the aquifer, and is, you know -- if the
27 aquifer has lots of sand, it is generally not so much
28 of a problem, because sand grains, coarse grains, work
29 hard (phonetic). You can get some realigned with the
30 grains, but there's not going to be that much

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 compression. It's when you have an aquifer with a lot
2 of clay in it. Clay, as we all know, is kind of
3 squishy. The water goes out and it tends to flattens
4 out, and that's when we start getting subsidence
5 effects. But you have to dewater the -- be dewatering
6 the aquifer first, and you're not going to see it in
7 the Chicot Aquifer.

8 MR. WELSH:

9 So the Chicot Aquifer is a sand with little clay.

10 MR. LOVELACE:

11 With clay, yes, with some clay in it, but it's
12 mostly sand.

13 MR. WELSH:

14 Okay.

15 MR. ANGELLE:

16 At least -- for at least debate and discussion in
17 the future is, we do not have dewatering of the
18 aquifer. We have perhaps more saltwater, but we don't
19 have dewatering. Jackie, you can help me articulate
20 this. And as a result, while we may have subsidence
21 and that can be proven as well, it may not be from the
22 depletion of the aquifer that's causing that
23 subsidence.

24 MR. OWEN:

25 Well, Mr. Chairman, there is a well-known report
26 issued by an LSU professor, and I cannot call up his
27 name. The report was done in the late '50s or early
28 '60s, and it has to do with the subsidence in the
29 Baton Rouge area in an industrial area. The
30 subsidence was significant, and the conclusion that

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 LSU reached, this author, in particular, is that that
2 subsidence was due specifically to the withdrawal of
3 water in the industrial area, which is a highly,
4 closely-defined area within that report, and, of
5 course, that was huge amount of water that was
6 withdrawn over a number of years. But that report
7 exists, and I think it was fairly conclusive.

8 MR. BOURQUE:

9 He's got a good point about it, in Acadia Parish,
10 but if you get above it, you go to Evangeline or
11 somewhere like that, your static level, in Acadia
12 Parish, the static level falls at 80' and 90'.
13 Evangeline is above, maybe 110, 115, so the static
14 level is a lot lower the higher -- the numbers didn't
15 change. So it's hard to understand what he's saying
16 about the cone -- the higher you go, the farther north
17 you go, the static level is higher -- lower, a lot
18 lower. Opelousas is lower. Opelousas has probably
19 got 120' static level. So, as you're moving over to
20 the north, east, and west, the level drops
21 significantly, but the land didn't drop. So that's
22 what is hard to see, why the 3 and the 2 is that, and
23 as you go higher up where the water -- again, it
24 didn't drop, but the level is lower as you go farther
25 north, is all I'm saying, north and to the east.

26 MR. ANGELLE:

27 Thank you.

28 MR. BOURQUE:

29 It's a critical thing I'm looking at.

30 MR. HOLLINGSWORTH:

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 Could I ask a question?

2 MR. ANGELLE:

3 Yes, sir.

4 MR. HOLLINGSWORTH:

5 I know GPS has changed a lot of our ideas about
6 where things are and where they are or not. Since GPS
7 has been around, how much has that changed; have you
8 run any charts on when you first GPS'd it ten years
9 ago?

10 MR. LANGLINAIS:

11 Well, ten years ago, probably, very few people
12 that were using GPS were like the (inaudible), the
13 people with the outdoor stuff, and there were some
14 people who were using it around this area.

15 MR. HOLLINGSWORTH:

16 But if it is sinking, there ought to be some
17 incremental, fractional part of it that would
18 illustrate that it is still happening or it stopped.

19 MR. LANGLINAIS:

20 Well, I think part of the problem is that the
21 studies we were doing, the data wasn't conclusive,
22 because no one was going out and physically GPSing
23 these U.S.G.S. monuments.

24 MR. HOLLINGSWORTH:

25 But that makes it all based on the accuracy of
26 the 1929 information, right?

27 MR. LANGLINAIS:

28 Well, in 1929, and you see, the -- if you go on
29 the 1929 datum, as you go with the 1929, as you move
30 farther north, those elevations have been -- in some

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 cases, many of those have been rechecked with GPS and
2 they've showed no change farther north than that green
3 area as you go north.

4 As you come down farther south in the blue zones
5 there, that's when you find more changes having
6 occurred.

7 MR. HOLLINGSWORTH:

8 That's a good reference. Thank you.

9 MR. LANGLINAIS:

10 Okay.

11 MR. ANGELLE:

12 Okay. Good job.

13 MR. TOMASZEWSKI:

14 Yes. I'm Dan Tomaszewski with the U.S.G.S.

15 And one of the problems is that, with this, you
16 need to know whether it is deep subsidence or shallow
17 subsidence. For instance, if you go to the New
18 Orleans area, it's generally shallow, and here -- I'm
19 not a Chicot expert, but in the Baton Rouge area, for
20 instance, we did monitor subsidence, and we have
21 subsidence monitors now, three of them. And they do
22 show that clay will compact, but it is very, very
23 small, and it's been 2' about, since the time we have
24 monitored it.

25 MR. LANGLINAIS:

26 Okay. Anything else?

27 (No response.)

28 MR. LANGLINAIS:

29 Okay. Well, let me try and get back to where we
30 were.

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 These two slides -- and, of course, you -- and
2 you'll notice the flow -- I think, in answer to one of
3 you -- somebody asked a question, why is the part
4 north of the Acadia area not subsiding? And I think
5 if you look at this, you see the arrows that are shown
6 on here. Those are the arrows that come off of this
7 map right here. Those are the directions of the water
8 flow. All of your water flow is perpendicular to
9 these contour lines. So, on the area north of there,
10 the water is flowing from the recharge area back into
11 the cone. If that situation were to exist all the way
12 from there to the Gulf of Mexico, you would have a
13 north-to-south flow, and you probably -- most likely,
14 you wouldn't have this situation. But because we have
15 less recharge coming from the north, directly south of
16 that subsidence cone, you have that alley which I'm
17 referring to that lies directly south of there where
18 all of those wells have gone dry, and these wells --
19 these wells that have gone dry or that have gone
20 salty, okay.

21 And I just want to make one more point here. If
22 you look at the two yellow dots, those are in the
23 Gueydan area. Those are two -- well, you'll notice as
24 you move farther north, the salinity levels are less
25 than as you move farther south, so you have -- the
26 black dots are 75 -- 65, 75 range, and then you get to
27 the yellow dots, that's the Gueydan area.

28 This one farmer has two wells that are right at
29 33, 34, 35 grains of salt, and he's fighting -- he's
30 debating whether to use those wells on his rice crop,

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 but you'll notice where he falls right in that path
2 where that flow is from south, flowing to the north,
3 into that depression cone.

4 This is another map that I think, once again,
5 you've seen already. It shows the area of most use of
6 irrigation water. These are the monitor wells that
7 are published. And if you take 35 wells -- the
8 equivalent to about 35 wells and put them in one
9 isolated spot, what the concern is that you will get
10 such tremendous drawdowns that you are going to pull
11 that drawdown curve and create a much steeper
12 hydraulic gradient of the water from the tip of
13 Vermilion Bay. If you'll notice, on this slide, you
14 only have eight miles from Vermilion Bay to the area
15 of Jefferson Island, but if you take Vermilion from
16 the Gulf of Mexico, straight north, you've got about
17 60 or 65 miles. And in that 60 or 65 miles, we have a
18 60' drawdown, so that's about 1' per mile of drawdown.

19 If you get to the New Iberia area where the --
20 the Jefferson Island area, you've got eight miles, and
21 if you get 30' of drawdown in eight miles, that's --
22 about two -- almost 2' per mile or 3' per mile. If
23 you get 15' of drawdown in eight miles, that's 2' of
24 drawdown, which is twice the level of the slope of the
25 hydraulic gradient that would bring the water in. And
26 we all know that you can change the velocity of the
27 water by changing the grade of slope. And if you
28 change the grade of slope, you can increase the
29 velocity, using Manning's equations and all the other
30 equations that we, as engineers, use to compute water

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 flows and velocities. So that's our deep concern. If
2 this were to occur and you put the equivalent of 30 to
3 35 wells at one point, it would be a steep drawdown,
4 not a graduated drawdown.

5 Yes?

6 MR. LOEWER:

7 I'm not sure I'm the only one in the dark here.

8 MR. LANGLINAIS:

9 Okay.

10 MR. LOEWER:

11 Possibly I'm not, asking questions on the side.

12 MR. MAYS:

13 No, you're not.

14 MR. LOEWER:

15 We're trying to get -- I'm trying to get my mind
16 into the point of your discussion, and I understand
17 you're saying some of the things that have actually
18 happened, but there seems to be explanations on why
19 something shouldn't be done, and I don't have a clear
20 understanding on what is the threat.

21 From what I understand from reading this and
22 looking at that, is that, if someone wants to put two
23 wells in equivalent to 36 rice irrigation wells, and
24 you're giving us two reasons why that shouldn't
25 happen; is that what it is?

26 MR. LANGLINAIS:

27 That's part of the reasoning, yes, sir.

28 MR. LOEWER:

29 Because I don't have a handle around that.

30 MR. LANGLINAIS:

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 Yes, okay. I appreciate that.

2 MR. LOEWER:

3 And the issue is not here, is should we stop
4 subsidence. You're using that as the reason why we
5 shouldn't be drilling two wells?

6 MR. LANGLINAIS:

7 Well, it's not so much a subsidence problem that
8 our concern is. It is the concern of drawing
9 saltwater more rapidly into that drawdown cone and
10 contaminating wells that lie directly south of that
11 area.

12 MR. LOEWER:

13 And let me qualify that. I'm a rice farmer
14 myself, so I'm on your side. I understand that issue,
15 but I'm not understanding the point you're trying to
16 make.

17 MR. LANGLINAIS:

18 Yes. The point is that, if you have a slope of
19 water at this -- at this slope, you're going to have a
20 certain flow. If you increase the slope three times,
21 it means the water is going to flow into that area
22 three times -- or almost three times faster.

23 MR. LOEWER:

24 Right. But let me clarify, you're not talking
25 about water -- Gulf of Mexico water?

26 MR. LANGLINAIS:

27 No. I'm talking about water in the Chicot
28 Aquifer.

29 MR. LOEWER:

30 Right, but it doesn't start at -- it doesn't
Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 start at water level. It starts -- if you drill a
2 well at -- what is it, is it 20; what is the static
3 pressure at the -- at sea level?

4 MR. LOVELACE:

5 In that area?

6 MR. LOEWER:

7 Yes.

8 MR. LOVELACE:

9 I guess right there, it's about 10'.

10 MR. LANGLINAIS:

11 It's about -- yes, about 10'. Yes, if you look
12 at the curves up there, it's about -10 in that area.

13 MR. LOEWER:

14 And we understand that the drawdown -- or the
15 static pressure of Crowley, the center of Acadia
16 Parish, is more than anywhere else.

17 MR. LANGLINAIS:

18 It is a -60 from zero. From the Gulf, on there,
19 it is 60' below the Gulf of Mexico, and at that area,
20 it's about 10' below the Gulf of Mexico, currently.

21 MR. LOEWER:

22 Right.

23 MR. LANGLINAIS:

24 And if you increase that and draw it down to a
25 minus -- another 20', 15, 20', it would now be 20'
26 below what it is at the Gulf of Mexico. But the 20'
27 in an eight-mile area gives it a 2' -- over 2.5' to 3'
28 per mile, and that's the slope of the drawdown curve,
29 which creates a more rapid movement of water into that
30 area of the drawdown curve, or where the drawdown cone

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 occurs.

2 The steeper the slope, the faster the water comes
3 in, basically, that's what the issue is.

4 MR. COLEMAN:

5 Are you saying it's going to bring in saltwater
6 faster?

7 MR. LANGLINAIS:

8 That is correct, yes. It will bring in
9 saltwater, because you have much steeper slope of the
10 ground water under the water -- the piezometric lines,
11 the rate -- the slope of the water table underground
12 would be about three times steeper than what it is
13 currently from the Gulf of Mexico to the Crowley area,
14 the epicenter of the drawdown that currently exists.

15 And I think I have a couple of more slides that
16 may help to illustrate what happened in the year when
17 the first two wells were drilled.

18 This is monitored well No. Vermilion 501, which
19 is just a little bit north of this area. You'll
20 notice, in 1990, the elevation of the drawdown level
21 from that monitored well where it was, was about a -2,
22 -3, -4. Then there was ten-year gap, from about 1990
23 -- about 1990, to about the year 2000, that there was
24 really no data taken, but then that's the year in
25 which the two wells were drilled. And we presume that
26 there was a -- and I'm just using this illustration of
27 this water well, which is currently drawing 15' of
28 drawdown, if you pulled the drawdown level at that
29 point near that well over that period of four years
30 when that well was drilled, you probably have a

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 situation similar to here, but I can't prove that, but
2 we know that that well produced a 15' drawdown, and
3 the well that's being proposed is slightly larger than
4 this.

5 MR. ANGELLE:

6 So what you're talking about, on the first AGL
7 water wells drilled --

8 MR. LANGLINAIS:

9 They were drilled in 1994.

10 MR. ANGELLE:

11 -- in 1994, okay. I see one 1994, and then I see
12 an arrow over to 2000.

13 MR. LANGLINAIS:

14 Yes, that's the ten-year period from about 1990,
15 to 2000, that's the ten-year gap that there was no
16 data taken on the monitored wells, but I can't -- when
17 they started collecting the data, recollecting the
18 data, again in the year 2000, that was the data. So
19 it had not recharged from where it was before to over
20 that ten-year period. It had dropped -- well, you can
21 see the number. It had dropped and it had not
22 recharged to its -- or close to its initial point.

23 MR. ANGELLE:

24 That's a monitoring well -- VE-501 is a
25 monitoring well at a specific location?

26 MR. LANGLINAIS:

27 That monitoring well -- let me see if I can
28 locate where that monitoring well is. Let me go back.

29 Okay. If you'll look on there, you'll see just
30 below the red dot, you see a VE-501, that's where that
Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 well is located.

2 MR. ANGELLE:

3 Okay.

4 MR. LANGLINAIS:

5 Okay. And if you'll look down, you see where
6 Abbeville is, and just to the right of Abbeville, it
7 says V-19?

8 MR. ANGELLE:

9 Right.

10 MR. LANGLINAIS:

11 That's the two monitored wells that I'm showing
12 right there (indicating).

13 MR. ANGELLE:

14 What about the wells around there; do you have
15 that data?

16 MR. LANGLINAIS:

17 I don't have the data of the other wells, no. I
18 only picked the two closest wells in the vicinity of
19 where this area was concerned. Because you can see,
20 the monitored wells are not spread as densely as the
21 area where the actual water wells of all rice farmers
22 are located.

23 MR. LOEWER:

24 What is an AGL water well?

25 MR. LANGLINAIS:

26 It's a water well that's being drilled -- that
27 was proposed to be drilled where they want to withdraw
28 5.18 million gallons per day.

29 MR. LOEWER:

30 What size?

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 MR. LANGLINAIS:

2 Let's see. 1,500 gallons per minute. I think
3 it's around 3 million gallons a day. I'll have to
4 check my numbers again, but...

5 MR. LOEWER:

6 A 6-inch well, 8-inch well, 12-inch well?

7 MR. LANGLINAIS:

8 Is it two -- I beg your pardon?

9 MR. LOEWER:

10 It's a 10-inch well, 12-inch well?

11 MR. LANGLINAIS:

12 That well there was a 10-inch well, that was a
13 10-inch well.

14 MR. LOEWER:

15 So you have a situation, similar like we had in
16 Eunice about -- if we go back about four or five years
17 ago.

18 MR. LANGLINAIS:

19 Is that near the Merchant plant, you're talking
20 about?

21 MR. LOEWER:

22 Yes, right there.

23 MR. LANGLINAIS:

24 Yes. That's what I'm thinking would be the
25 similar scenario.

26 MR. LOEWER:

27 Because they wanted to drill four?

28 MR. LANGLINAIS:

29 Two more wells, there are probably two that are
30 drilled.

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 MR. LOEWER:

2 I mean, the Merchant plant did four?

3 MR. LANGLINAIS:

4 I don't know all the situation of the Merchant
5 power plant. I've heard stories about it, but I don't
6 have the details on that.

7 MR. ANGELLE:

8 Steve?

9 MR. LANGLINAIS:

10 Yes, sir.

11 MR. ANGELLE:

12 This one right here, is that AC-332?

13 MR. LANGLINAIS:

14 I'm trying to see where you are.

15 MR. ANGELLE:

16 Up here, on the top, I'm shooting way up here.
17 Look, you see the little -- where Crowley is up here,
18 the top of this long, 60-mile line, this right here,
19 right under the word "Crowley" (indicating)?

20 MR. LANGLINAIS:

21 Oh, yes, okay, uh-huh.

22 MR. ANGELLE:

23 AC-332?

24 MR. LANGLINAIS:

25 Okay.

26 MR. ANGELLE:

27 Okay. Have you been able to look at any data
28 that would show either salinity increases or any
29 problems over here as a result of the 1994 well?

30 MR. LANGLINAIS:

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 No. I haven't looked into that. Those wells --
2 and I think, if there were some salinity increases,
3 the farmers would have brought it to the surface, but
4 apparently, the farmers -- apparently, the saltwater
5 has not reached that far north in the Chicot Aquifer
6 in that area. And I saw a slide at the last
7 presentation that showed where the previous point was.

8 MR. ANGELLE:

9 Yes. My question is, if we -- let me rephrase,
10 instead of saying specific to that.

11 Have you seen any data that would show that the
12 1994 -- go back to your -- the slide that you had that
13 shows the two wells that were drilled in '94.

14 MR. LANGLINAIS:

15 (Complying.)

16 MR. ANGELLE:

17 Have you seen any saltwater increases in other
18 areas by looking at data as a result of these two
19 wells drilled?

20 MR. LANGLINAIS:

21 I haven't seen those, because the only
22 information I get is from clients that come to my
23 office and I hear their complaints, and those are the
24 ones that I have plotted that have experienced
25 saltwater. For instance, the one they did --

26 MR. ANGELLE:

27 But if we have -- if we have a situation -- what
28 I'm trying to get an opinion from you on is, if we
29 have a situation where we have two wells that were
30 drilled right here, okay, and for the first half hour

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 we talked about subsidence and saltwater flowing into
2 an area, okay. We talked about the gradient and the
3 flow and everything else.

4 MR. LANGLINAIS:

5 The subsidence cone, yes.

6 MR. ANGELLE:

7 Right. Did that happen in 1994?

8 MR. LANGLINAIS:

9 On the other well, I can't answer that question
10 because I don't know. I have not done --

11 MR. ANGELLE:

12 Are you concerned that it would happen now, if --

13 MR. LANGLINAIS:

14 I think the concern from the farmers is that
15 there is this slow migration of this plume of
16 saltwater that is migrating farther north, and --

17 MR. ANGELLE:

18 Right. For a variety of reasons, including the
19 farmers who are using and causing that cone of
20 depression by taking out water, is what you're
21 testimony was earlier. So the farmers, by drawing out
22 water, have caused -- in addition to other people,
23 have --

24 MR. LANGLINAIS:

25 Yes.

26 MR. ANGELLE:

27 -- caused that cone of depression that allows the
28 saltwater to flow in, and the concern is that we want
29 to make sure that that doesn't get to a point that it
30 has an adverse impact on the ability for the farmers

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 and for other folks to be able to use that water for
2 the purpose of what they need to use it for.

3 MR. LANGLINAIS:

4 That is correct.

5 MR. ANGELLE:

6 I understand that.

7 What I'm asking is, so everybody's withdrawal --
8 everybody's withdrawal contributes in a cumulative way
9 to that situation?

10 MR. LANGLINAIS:

11 That would be -- yes, that's what I was getting
12 at.

13 MR. ANGELLE:

14 So the next farmer that wants to drill an
15 irrigation well is going to add to that problem?

16 MR. LANGLINAIS:

17 He will add to the problem to some small extent.

18 MR. ANGELLE:

19 Sure.

20 MR. LANGLINAIS:

21 Yes. Because his well only runs about 25 to 30
22 days a year.

23 MR. ANGELLE:

24 Right.

25 MR. LANGLINAIS:

26 But the problem here is wells that run 24 hours a
27 day, 365 days a year, four years, that cone never has
28 a chance to recharge. It sits down there for a long
29 period of time, and it doesn't give it the opportunity
30 to recharge.

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 And I might mention something about the rice
2 farmers. I'm a -- I grew up on a rice farm, so I'm
3 very familiar with rice farming. There are now
4 policies with the natural -- NRCS, where they are
5 paying farmers to recover their water. When they
6 drain their rice fields, they're trying to reclaim
7 that water and reuse the same water over and over. So
8 there are some practices that are being initiated by
9 the NRCS and some of the other agencies to help
10 conserve water by means of rice farmers.

11 I mean -- and water leveling is another reason.
12 MR. ANGELLE:

13 So you do not have any evidence that shows that
14 this well right here caused any additional saltwater
15 problems elsewhere, but it's something that we
16 probably could look at?

17 MR. LANGLINAIS:

18 I think it needs to be looked at.

19 Now, I might also mention that, in an area just
20 directly south of this -- of Jefferson Island and
21 Delcambre area, I had farmer come -- one landowner
22 come to me and tell me, "Steve, every time my neighbor
23 turns his irrigation well on, my water well goes dry
24 at my house." And I think I heard those comments at
25 the last meeting, also. So what do you do? Well, I
26 wait -- I tell my farmer to run his well for a day and
27 then stop running his well and then let me pump my
28 water well so I can get water for my house. It's just
29 one of my clients who lives south of the
30 Erath-Delcambre area, because of the drawdown from his
Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 water well, it has reached a point below the intake of
2 his existing water well.

3 So the drawdown phenomena is causing a few
4 problems, as we all know. The drawdown causes the
5 well running dry, and it also causes a further
6 increase of the saltwater encroachment coming into
7 that area where you have that low -- that low cone of
8 depression.

9 MR. ANGELLE:

10 I got you.

11 MR. LANGLINAIS:

12 Okay. Here is the other water well, Water
13 Well I-19. If you look at Water Well I-19, and look
14 at the numbers, it was at about a -2, a -2.5, and then
15 after -- ten years later, it was down to a minus --
16 what, about -8, a -9, and it had not recovered, and
17 then -- I just put the period in there. Well, that's
18 the zone in there that shows what most likely did
19 happen during that four-year period when these wells
20 were being drawn down very, very heavily, causing a
21 decline in the drawdown curve at Well No. I-19.

22 Of course, take another look up, see the well,
23 that's 1,500 gallons per minute, I believe -- or 18 --
24 I can't read the numbers -- 1,500 gallons per minute,
25 and that caused a 15.2' drawdown, and after six hours
26 -- on a six-hour test, after that well has been run
27 for six hours.

28 And these are some of the drawdown calculations
29 that I've done to illustrate what can happen at
30 various radiuses, and these are the equations and the

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 formulas and the hydraulics and the hydrology that's
2 used to test that data.

3 Somebody asked a question about the Houston area.
4 This is some of the LIDAR data of the Houston area
5 that showed where they have had some similar problems
6 to what is going on in the Crowley area, in the Lake
7 Charles area. Now, I'll show you this slide right
8 here. If you look at the area near the Houston area,
9 I think, if you look real close, you can see a -4 at
10 the epicenter. Yes, that's a -4, I think, the
11 smallest curve at the epicenter, that's a -4 of
12 subsidence in feet. Now, this is data that was
13 published by the U.S. Geological Survey, okay. This
14 is the subsidence that occurred around the area.

15 And, in fact, what's happened in the area now, I
16 understand that the City of Galveston now has to draw
17 its water from up north, because they cannot drill any
18 more water from their -- from their water wells,
19 because their aquifer is contaminated, it's salty,
20 because the water has migrated into that area and now
21 they have to draw their water from farther north.

22 I understand that Houston draws a lot of its
23 water from Lake Livingston which lies about 50 or 60
24 miles north of Houston, in that area, and some of the
25 other areas, where they cannot get salt -- they cannot
26 get aquifer water. They are having to draw it from
27 these reservoirs farther north.

28 Yes?

29 MR. HOLLINGSWORTH:

30 That was over a 22-year period of time, now.

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 MR. LANGLINAIS:

2 That's happened in a 22-year period, yes, yes.

3 And I'm 65 years old, so the next 22 years, we're
4 going to have to expect it, okay.

5 So to answer one question, so I guess the
6 question then, you know, what are some of the
7 problems --

8 MR. ANGELLE:

9 Excuse me, Steve, go back.

10 MR. LANGLINAIS:

11 Go back to this one?

12 MR. ANGELLE:

13 That's the subsidence of water level, not
14 elevation of land, right?

15 MR. LANGLINAIS:

16 No. This is a subsidence in land. This is not
17 water level defined. This is the subsidence of
18 ground.

19 Let me back up. You see the Houston -- did you
20 see the pink area around the Houston area, that's
21 where that slide is, that is that whole area that
22 shows the amount of subsidence. This is the same
23 subsidence chart that attaches to Louisiana on the
24 west, as you go to the west. If you just put
25 Louisiana on the right-hand side there, it would
26 continue all along that Gulf Coast area.

27 And near that area of Houston, that's where they
28 have a minus -- and this is their subsidence in feet.
29 This is ground subsidence, not water subsidence.

30 So this is the problem that we're concerned
Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 about, is drawing more volumes of water from a
2 one-point source, so close to the Gulf of Mexico can
3 cause severe drawal of saltwater into that drawdown
4 cone, and could contaminate those wells that lie
5 directly south, the towns of Erath, the towns of
6 Delcambre, and the little communities in that area
7 that lie in an area south and -- I guess, south and
8 west and east of that area, depending upon how the
9 drawdown cone would developed.

10 All right. Drawdown effects of having two wells
11 located 250' apart, pumping at the rate of 5.16
12 million gallons a day could be as much as 30 to 40'.
13 Now, this is in talking to one of the water well
14 drillers who has done some of the work for me in the
15 past, and this is some of his comments for what could
16 happen for putting two wells that close.

17 The rate of drawdown could be potentialed --
18 could the potential exist for reverse flow of the
19 hydraulic gradient, which is the slope, which could
20 pull the saltwater from the outfall of the Chicot
21 Aquifer into the drawdown cone? And there again, you
22 see -- I think this is one of the U.S.G.S. slide that
23 I'm using here, but it shows what would happen with a
24 steep drawdown from the Gulf of Mexico coming down,
25 compared to a well that lies very far north, we have a
26 very shallow slope of the drawdown curve, of the
27 drawdown level.

28 There, again, you see this area here, and the
29 area that we're talking about is in Vermilion Parish.
30 This would be about eight -- about eight miles north

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 of the Gulf of Mexico -- or Vermilion Bay, not the
2 Gulf of Mexico.

3 Another issue that we are concerned with is that,
4 in the area of Jefferson Island, when the collapse
5 occurred in 1980, that salt mine was 1,300 -- no,
6 1,500' deep, so there is an area of shattered salt all
7 -- from ground level down to where all those caverns
8 collapsed and the catastrophe occurred. Nobody knows
9 what happens in that area, but we know that whole area
10 goes down to 1,500 and 1,800'. And you plot this --
11 I've got it plotted down to about 1,200, 1,300' there.
12 And what exists in that area where you could possibly
13 put some wells so close to that area that you could
14 possibly be flowing some water -- in that shattered
15 area, you could be pulling water from the -- inside of
16 the salt mine that could be leaking from cracks and
17 crevices and finding its way into these two wells.
18 And this is probably within a mile from where these
19 two wells have been proposed.

20 Now, as you can see the other thing -- okay. All
21 right. Now, one thing I wanted to show you, I wanted
22 to mention, the effect -- let me see if I can get my
23 -- in this zone right here, this is the Gulf of
24 Mexico, You see the line I drew right here? Look at
25 the slope of that line coming down to these two wells.
26 Compare that to the slope that exists from the
27 drawdown cone in the Acadia Parish area. Look at the
28 slope of this curve here, compare that to the slope of
29 this curve right here, that's is the fearful part is
30 drawing large volumes of water in a concentrated time,
Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 so close to this red zone which is where the saltwater
2 is encroaching, that's gradually creeping in from the
3 Gulf of Mexico.

4 Okay. That's my presentation. Any questions
5 from the members?

6 MR. ANGELLE:

7 Yes, sir.

8 MR. MAYS:

9 While Mr. Langlinois is there, can you kind of
10 help me understand this entire item on the agenda,
11 please?

12 MR. LANGLINOIS:

13 Sure.

14 MR. MAYS:

15 First, I think, as Mr. Langlinois is representing
16 rice farmers, is against AGL putting wells in; is that
17 what --

18 MR. ANGELLE:

19 Yes, sir, good question. I did poor job of
20 setting this item up, and I appreciate you asking that
21 question.

22 MR. MAYS:

23 And as -- does -- we have no real authority on
24 that, unless the Commissioner has ruled something, and
25 then we are the judicial officers to disagree or
26 disagree with that?

27 MR. ANGELLE:

28 Right. So, as we say back at home, why am I
29 sitting through this and hearing all of this if I
30 don't have anything to do with it, right?

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 MR. MAYS:

2 Well, I'm asking that in a question, if that is
3 why --

4 MR. ANGELLE:

5 Yes, right. And you're exactly right, okay.

6 Mr. Langlinais has requested an opportunity --
7 had requested an opportunity to be on the agenda,
8 okay, and that request was made for the meeting, I
9 believe, in Ruston. Because I thought we had a very
10 robust agenda there and I knew we would be coming
11 south, we made a decision to go ahead and allow the
12 presentation here, okay. In a spirit of fairness, we
13 thought it was appropriate to contact AGL, who has
14 representatives here, will put on their testimony
15 about it.

16 You are absolutely right. The responsibility to
17 permit or not -- the failure to permit these wells is
18 the responsibility of the Commissioner, and the
19 Commission has no jurisdiction over it, other than it
20 perhaps is a good learning opportunity for us, a
21 teachable moment, for us to understand some of the
22 issues that go into this.

23 This was not done at my request, but was done at
24 the request to accommodate folks of the public.

25 MR. MAYS:

26 Okay. Just to follow, a couple of more
27 questions, if you would. What -- the AGL Resources
28 wells, what would they be used for?

29 MR. ANGELLE:

30 To leach out a salt dome to create a cavern in
Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 the earth to store natural gas.

2 MR. MAYS:

3 Okay. And that is a one-time deal?

4 MR. ANGELLE:

5 Correct.

6 MR. MAYS:

7 One time, okay.

8 And just -- I guess the question would be to

9 Mr. Langlinais, and I'm sorry.

10 MR. ANGELLE:

11 You're doing a good job.

12 MR. MAYS:

13 I'm having a problem with his name there.

14 If -- his comparative was that this was the
15 equivalent of 35 wells. If 35 new rice farmers showed
16 up tomorrow to drill wells on that, you wouldn't have
17 the same concern about that, is that correct, although
18 the effect would be the same?

19 MR. LANGLINAIS:

20 The 35 wells that I mentioned --

21 MR. MAYS:

22 I'm just asking a hypothetical.

23 MR. LANGLINAIS:

24 Okay.

25 MR. MAYS:

26 We're talking about the same amount of water,
27 right?

28 MR. LANGLINAIS:

29 The same amount of water -- drawing large amounts
30 of water from a concentrated area, and I would presume
Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 that if 35 farmers would come into the area and drill
2 35 wells, those 35 wells would probably be spread over
3 five miles here, two miles there, ten miles here in
4 that area.

5 MR. MAYS:

6 So the concentration is what bothers you more
7 than the amount of water?

8 MR. LANGLINAIS:

9 That's right.

10 MR. MAYS:

11 I got you.

12 MR. LANGLINAIS:

13 Because of the concentration of large volumes
14 coming from a one-point source.

15 MR. MAYS:

16 Yes. All right. Thank you.

17 MR. LANGLINAIS:

18 And that's the problem.

19 MR. ANGELLE:

20 Good, okay. Very good.

21 Mr. Owen?

22 MR. OWEN:

23 Mr. Chairman, just to insert in the record, the
24 subsidence -- with respect to subsidence, the study
25 that I mentioned at LSU was by Raphael Kazmann. It
26 was published as the Louisiana Water Resources Booklet
27 No. 6, in 1970.

28 With respect to another question that you asked,
29 and I have some interest in this question, because we
30 own the water system in New Iberia, and we have more

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 than a passing interest in the effect that that would
2 have on New Iberia. We have, over a period of time in
3 New Iberia, detected no change in the chloride content
4 in the water in New Iberia. However, I am aware that
5 in this period, since the initial wells, whether this
6 is accidental or non-associated, in Jeanerette, which
7 is about ten miles south of New Iberia, the chloride
8 content in the water, in the raw water, has changed
9 from 110 parts per million to about 180 parts per
10 million over this 10, 12-year, 15-year period. That's
11 just information that I happen to be aware of.

12 MR. ANGELLE:

13 Thank you.

14 Okay. AGL representative?

15 MR. GOODSON:

16 Good afternoon, Mr. Chairman, members of the
17 panel. Thank you having us this afternoon to talk
18 with you a little bit about our project.

19 My name is Tim Goodson. I'm the managing
20 director of Midstream Projects for AGL Resources.
21 Prior to that, with AGL, I was the managing director
22 of the environmental, safety, and (inaudible).

23 Today, I want to talk to you about the project
24 we've proposed in the Iberia-Vermilion Parish area,
25 our existing Jefferson Island facility that is in that
26 area, and how we intend to move forward with
27 responsible use of water as we expand our facility as
28 we have proposed.

29 The Jefferson Island facility was designed and
30 built in the mid-1990s, and has two operating salt
Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 dome caverns that are designed and operated for
2 natural gas storage.

3 AGL Resources, by way of background, is a
4 157-year-old company. Natural gas is our business,
5 our only business. We're not an exploration and
6 production company. We serve more than 2.4 million
7 customers in ten states. We have about 2,400
8 employees, a long history of safety, community
9 involvement, innovation, and as you can see, one of
10 the two from a business standpoint.

11 Much like the other 43 salt dome storage
12 locations in Louisiana, including the Strategic
13 Petroleum Reserve, these caverns were leached, or
14 solution mined, as it is known in the industry, using
15 raw water which is generally fresh or slightly saline
16 water that has not been treated, without deleterious
17 effect on the aquifer or the environment from which
18 the water was drained. Our current plans for
19 expansion would add two caverns and associated
20 equipment on the leased area of Lake Peigneur. For
21 many of these caverns, we follow the State-required
22 process, and will also involve local and Federal
23 agency oversight.

24 The leaching of a cavern in a salt dome involves
25 the drilling of a conventional well, after which the
26 water is cemented -- is inserted into cemented casings
27 and a string, and the brine is withdrawn as the cavern
28 is created. Disposal of that brine is in a very deep,
29 natural-occurring, saltwater formation at about 7,500'
30 below ground surface. The leaching process does take

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 between 14 and 20 months per cavern on average, and
2 results in a shape much like a 2-liter soda bottle.

3 The JISH caverns that are presently at Lake
4 Peigneur are approximately 3,000' below the lake
5 surface and extend to about 5,000' deep and are
6 typically about 200 to 300' in diameter. They've been
7 in gas service since 1994, without incident, and we
8 intend to continue our safe operation of that
9 facility.

10 The cavern wells are specifically designed by
11 subsurface engineers and geologists. They are very
12 closely monitored. They are permitted by the State
13 and are inspected twice a year by State officials.

14 The leaching process and the flow rate are
15 designed to control -- to create a very careful cavern
16 shape, like the one I've described, until it
17 efficiently leaves the salt formation. I'm telling
18 you that because that leads to how we determine how
19 much water is needed for the leaching process, for how
20 long, and at what rates.

21 The Chicot Aquifer in the Jefferson Island area
22 is a healthy, high-yield, water formation, as this
23 chart depicts. It provides over 200 million gallons a
24 day for many different users in those two parishes.
25 It is composed of two sands in the Jefferson Island
26 area. I'll show you a chart of that in just a minute
27 that to better illustrate exactly what the aquifer
28 looks like in the area. The aquifer has shown a
29 rebound in its water elevation since the year 2000,
30 and that is based on data from U.S. Geological Survey

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 monitoring in the immediate area.

2 This chart shows the breakdown of major usage,
3 and we've heard that there are about 50 registered
4 wells, or many more, in the area. Any two to four of
5 those registered wells typically will withdraw the
6 daily volume that JISH intends to use from the Upper
7 Chicot to create its expansions for two more caverns.
8 Our intended withdrawal from the aquifer would be
9 about two percent of this 200 million gallons per day
10 that are used already and would occur over a
11 temporary, finite period of time of about four years.

12 Our intention is to honor the approach that has
13 been described previously. We intend to use about
14 three million gallons a day from the Upper Chicot, and
15 the balance from the Lower Chicot Aquifer. The two
16 aquifers are present in some sand.

17 And in this area, I am showing you a chart. The
18 left side is the west, moving right is to the east.
19 This is across Lake Peigneur. Lake Peigneur is shown
20 in this illustration in the upper center. This is
21 development area of Lake Peigneur (indicating).

22 The four vertical lines that you see are wells
23 that have been drilled into this area, and the data
24 that we have provided are combinations from Louisiana
25 U.S. Geological Survey data and from the dome data
26 taken from the drilling of these four wells, all of
27 which penetrated each of these areas.

28 The Chicot Aquifer, composed of the upper and the
29 lower sand, makes up that area, and then we've heard
30 about the Evangeline Aquifer as well that exists in

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 this area. Importantly, the lower sand and the
2 Evangeline are non-potable water zones. There's a
3 thick layer of clay that separates the upper and lower
4 sands in this region. It is depicted here. It's
5 several hundred feet thick. We will point out that
6 the upper sand is several hundred feet thick, 600 to
7 700' thick. And as I said earlier, it shows a great
8 potential for many users.

9 The calculated drawdown that our professional
10 hydrogeologists have made shows that the drawdown
11 impact will be a few feet in this area from the
12 operation of the two wells during this period. And
13 the empirical evidence from the mid-1990s, when the
14 first two caverns were created, shows that there has
15 been no deleterious effect on the aquifer.

16 Wells in the area for domestic use are typically
17 100 to 200' deep into the aquifer, irrigation and
18 industrial wells, some 300, 400' deep. And as you can
19 see, this thickness provides an ample supply source.

20 The other piece of information we have on this is
21 reviewed by the State. The hydrogeologists and the
22 Office of Conservation has testified before the Senate
23 Natural Resources Committee that they expected to have
24 very little drawdown effect on the aquifer, and that
25 there would be no material impact that would be long
26 lasting in any way on the uses of the aquifer that
27 presently serve or could be served in the
28 future.

29 I won't go back into anything else about the
30 aquifer recharge zone. I will advise that the data

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 that I have shows that about 900 to 1,300 million
2 gallons a day recharge in that recharge zone that was
3 shown earlier by Mr. Lovelace, that is about 60 to 90
4 miles north of this area. There is more diffuse
5 recharge that occurs south of that area, and since the
6 use in the aquifer is about 700 million gallons a day,
7 that recharge is representing about -- the present-use
8 volume represents about 25 percent of the total
9 recharge volume that occurs per day. This recharge
10 rate is one reason the Chicot is so prolific and able
11 to sustain, on a sustainable basis, so many diverse
12 users.

13 Water used in the leaching process of the well is
14 not lost or destroyed. We all remember the water
15 cycle. We saw a few things about it earlier. We
16 learned about it very early in our educational lives.
17 Most of the water used in the area is for irrigation,
18 that water is primarily taken up by the crops or is
19 lost to evaporation or surface runoff or reuse. The
20 heavy floods in south Louisiana do not lend themselves
21 to -- infiltration that results in recharge. The
22 water on the surface area does flow into the surface
23 springs, bayous, and other water bodies and reaches
24 the Gulf of Mexico.

25 Now, this same thing occurs with the brine that
26 is injected. Even though it is into a very deep
27 aquifer and occurs over a long period of time, that
28 water eventually does reach the mid-continental shelf
29 in the Gulf and re-enter the water cycle, so even the
30 brine that's produced is not lost as a total water

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 statement.

2 I wish you well in your work and trust that your
3 mission will be accomplished as you are setting a
4 ground water policy and plans for sustaining water
5 management. Thank you.

6 MR. OWEN:

7 Could I ask one question?

8 MR. GOODSON:

9 Yes, sir, please.

10 MR. OWEN:

11 What has determined -- how have you determined
12 the proportion that you propose to take from the Upper
13 Chicot as opposed to the Lower Chicot?

14 MR. GOODSON:

15 That proportioning was -- arose out of community
16 input and concerns. It was also a part of the bill
17 that was passed by the legislature in 2008, that bill
18 subsequently was overturned by the Louisiana Court,
19 but we understand the motion that has been made there
20 and the process to balance water use, and so we
21 decided we can -- after some study, and we still have
22 to prove out the withdrawal from the lower sand, but
23 there's only one well we're aware of in the lower
24 sand, up near Broussard. I'm not certain of what it
25 is used for or its depth, but if -- as far away as
26 some 12 to 14 miles, it would not be an issue for us.
27 We believe that we can get sufficient water from the
28 lower sand, combined with the upper, to be able to
29 accomplish our objective.

30 MR. OWEN:

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 Well, would you agree that it might be more
2 desirable to take water from the lower sand than the
3 upper sand as far as existing users are concerned,
4 because the better water is in the Upper Chicot in
5 that area?

6 MR. GOODSON:

7 I think the issue there is that the -- both of
8 those sands provide water that's suitable, but the
9 blended capacity of the raw water is what we really
10 need for the leaching process. You do have some
11 salinity and other factors that are at place in the
12 lower sand, so the combination of the water is the
13 better outcome for us.

14 MR. OWEN:

15 Well, it might be for you, but I'm not sure it is
16 the -- I'm unsure it is the universal panacea that we
17 might be seeking.

18 Would you consider -- and this is the question
19 that I asked often with plants -- to take more or a
20 higher proportion? Because what you seem to be saying
21 is that the salinity in the Lower Chicot that is
22 determining that blend as much as anything, and I
23 think there's a lot involved that edge, the fresh
24 water edge, of the Chicot than just the chloride
25 content, because the Upper Chicot has a superior
26 mineral content as far as use for potable water
27 supplies.

28 MR. GOODSON:

29 Well, we've come this far looking at it, and
30 we'll continue to -- we'll go through the State

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 process with the Commissioner and his staff on this on
2 the permitting, that is something we'll come back to
3 and we'll consider and look at. I can't give you an
4 answer on it now, because with the lack of
5 information, we really don't know how much can be
6 yielded from that zone and whether it will be
7 sufficient, but we'll work with the State process.
8 We'll commit to doing that.

9 MR. HOLLINGSWORTH:

10 Is the two percent effective?

11 MR. OWEN:

12 Is the two percent you're talking about, is that
13 two percent just in that area or two percent of the
14 entire aquifer?

15 MR. GOODSON:

16 That two-percent calculation was just in that
17 area, based upon the three million per day from the
18 Upper, and then we can see the comparison in that
19 chart. I can go back to it, if that would be helpful.

20 MR. HOLLINGSWORTH:

21 No, that's okay.

22 MR. GOODSON:

23 Industry, overall, uses about 3.3, by comparison,
24 and the proposal we have is for 3. The public and
25 rural supplies are about 17 million gallons per day in
26 that area, so that's how we calculated two percent
27 over this whole --

28 MR. ANGELLE:

29 Yes, sir?

30 MR. JOHNSTON:

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 Quick question. The previous presentation talked
2 about four years. What is the time frame on this?

3 MR. GOODSON:

4 It would be about four years. It takes 14 to 20
5 months, depending on the nature of the salt, to leach
6 the caverns to the appropriate size, that is correct.
7 That would be done sequentially, one cavern after the
8 other, based on our current plans.

9 MR. JOHNSTON:

10 Just for domestic use or for gas storage, there's
11 enough --

12 MR. GOODSON:

13 The gas storage that we do are --

14 MR. JOHNSTON:

15 -- is that part of the Strategic Reserve?

16 MR. GOODSON:

17 It's not part of the Strategic Reserve, no. It
18 is for our customers who are the interstate pipelines,
19 intrastate pipelines, the local distribution utilities
20 in the state, other municipal and industrial users of
21 natural gas in Louisiana and elsewhere.

22 MR. OWEN:

23 I have one more question.

24 Did you -- in determining the feasibility of the
25 project, did you look at any possible source of
26 surface water for your leaching?

27 MR. GOODSON:

28 We did. We looked at Lake Peigneur, itself, and
29 the lake, itself, presents some issues with its water
30 quality. It is a shallow lake. There is a depressed
Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 area in the lake that's used for recreation and other
2 purposes, and we believe that those issues probably
3 make ground water a better choice, especially the
4 blended solution, as opposed to a surface water use.

5 MR. OWEN:

6 You're saying "a better choice," meaning a
7 cheaper choice?

8 MR. GOODSON:

9 No, not necessarily cheaper. The drilling of
10 these wells are pretty expensive, and for a surface
11 water well, location would require an inlet of some
12 kind in the lake, probably in the deepest portion of
13 the lake, and appropriate pumps and things. We will
14 have to lift water and pump out to the lake to reach
15 our caverns, at any rate, in order to conduct the
16 leaching process, and then bring that brine back to
17 shore, much as we've done with the first two caverns.

18 MR. COLEMAN:

19 Are you all involved in an operation similar to
20 this up near Arcadia, Louisiana?

21 MR. GOODSON:

22 No, sir. We haven't -- we do not have an
23 interest in Arcadia, no, sir.

24 MR. ANGELLE:

25 Okay. Thank you very much. We appreciate you
26 being here.

27 And that brings us to Item 8, and I'm looking for
28 staff, in particular, Mr. Adams will take 8(a)
29 and (b). My agenda does not indicate which staff
30 member I should call on this.

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 MR. SNELLGROVE:

2 Yes, that would be Tony Duplechin, at first,
3 Katrina and Rita water well damage assessment, the
4 final report that was submitted.

5 MR. ANGELLE:

6 Okay. Mr. Duplechin?

7 MR. DUPLECHIN:

8 As most of you are aware, the Department of
9 Natural Resources was one of the agencies that worked
10 with the Louisiana Recovery Authority following the
11 hurricanes in 2005, Rita -- Katrina and then Rita.
12 And one of the things that we finally wound up
13 deciding to do in the task force that we were working
14 with was to do an investigation of the water wells in
15 the areas impacted by the two storms -- storm surges
16 that it was felt may have been damaged from those
17 hurricanes, and wells we looked at were mostly wells
18 that it would -- felt would not be addressed by anyone
19 else. So we didn't look at industrial wells or
20 municipal supply wells -- supply wells. Mainly, what
21 we looked at were irrigation wells and domestic wells
22 in these areas.

23 We contracted with a company in Baton Rouge,
24 called GEC, and the scope of the services was to
25 identify, locate, and assess the nature and extent of
26 damage to the water wells caused by these hurricanes.
27 It had been estimated that there were more than 3,600
28 wells out there that had been registered that may have
29 been impacted in 13 parishes.

30 The deliverables would include a written report
Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 containing a list of the wells visited, organized by
2 hurricane and parish, detailed description of
3 observations collected at each well, and any actions
4 taken, detailed topographic maps showing where the
5 wells were, discussion of all issues including
6 difficulties encountered, techniques, and plots for
7 locating the wells, et cetera, and categorizing the
8 risks of the well, and taking any interim steps to
9 seal off the wells that were broken off. They were
10 also required to submit a CD containing all this
11 information, along with pictures of each well, and
12 give us monthly status reports.

13 GEC finished their work earlier this year, and in
14 June or so, turned in their final report. This is not
15 the final report. This is the condensed version of
16 the final report (indicating). The final report
17 consisted of some 18 volumes about three inches thick
18 containing all the pictures and data sheets from that.
19 Rather than have them make 20 or 25 copies of all
20 that, we had them put the text of the report together,
21 along with five CDs -- they may actually be DVDs which
22 hold about four gigabytes a piece.

23 And what they did out in the field, their
24 protocols, was to go out and do a site description of
25 the site, locate each well, classify each well based
26 on DOTD's well water classifications, give the
27 condition of the well, and determine the risk level of
28 that well.

29 In their proposal, they've come up with several
30 risk levels, and they range from no risk, which was a
Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 well that was operating in good condition and not
2 damaged, through low risk, which was a well where the
3 well was exposed, it was not protected, and they felt
4 that -- it was out in the open and had the possibility
5 being struck by equipment, say, farm equipment, or
6 something else. Moderate risk was for a well that was
7 exposed, again, and the casing or prop pipe might be
8 broken or damaged permitting debris or liquids to
9 enter into the well. And then high risk, which were
10 wells where the casing was broken off and/or damaged
11 at or below ground level. These wells -- the wells
12 that were damaged, temporary seals were put on these
13 wells, and that's all in the report which ones were
14 like that.

15 I don't have any of this stuff on handouts,
16 because we're still in the process of getting all this
17 information condensed to where we can go to LRA and
18 present our findings.

19 On the whole, some 3,807 wells were identified --
20 we are looking at DOTD's database -- that they were
21 going to go out and investigate. An additional 87
22 wells that had not been registered were found when
23 they went out in the field. Of these wells, 169 were
24 never located due to one reason or another.

25 Okay. The total number of wells by type, 3,392
26 wells were domestic wells, 308 were irrigation, 44 --
27 an additional 44 were domestic wells that they
28 classified as residential, and then the remainder
29 making up the 3,800 were municipal, some fire
30 protection wells, and other just abandoned wells.

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 MR. ANGELLE:

2 Mr. Duplechin?

3 MR. DUPLÉCHIN:

4 Yes, sir.

5 MR. ANGELLE:

6 In an essence of time, can you perhaps give us
7 what the final report produced, not so much in
8 numbers, but to request that, in general terms, if we
9 have a problem, if we don't have a problem, two
10 percent, ten percent, twenty percent, something.
11 Because I don't know what 30,000 means, I don't know
12 if that's 3,000. I don't know what that means,
13 because it is not relative to me.

14 MR. DUPLÉCHIN:

15 I'll go over one more set of numbers, if that's
16 okay, and that's the number of wells for each risk, if
17 that's okay, sir.

18 MR. ANGELLE:

19 I'm only interested in -- in the essence of time
20 -- the Commission members can get the entire copy to
21 review it, the 18 volumes.

22 Do we have a problem, where is the problem, how
23 big is the problem?

24 MR. DUPLÉCHIN:

25 The problem is not serious. Out of the 3,800
26 well, 20 were classified as high risk, okay.

27 MR. ANGELLE:

28 Okay.

29 MR. DUPLÉCHIN:

30 And 154 a moderate risk, so there are some issues
Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 out there that need to be addressed. There are some
2 wells that do need to be plugged and abandoned.

3 MR. ANGELLE:

4 Who is addressing those issues?

5 MR. DUPLECHIN:

6 We are addressing them, but we haven't gone out
7 in the field and done anything yet.

8 MR. ANGELLE:

9 Do we have an inventory of the problems?

10 MR. DUPLECHIN:

11 An inventory of wells, what the problem is with
12 each well. We're going to make a report, put together
13 a report -- we're putting it together to give to our
14 LRA, since they're the ones that kind of directed us
15 to do this.

16 And come January 1st of next year, the Office of
17 Conservation will be taking over some of the water
18 well rules -- programs that are currently at the
19 Department of Transportation and Development.

20 MR. ANGELLE:

21 So the report was to identify the wells that
22 could be a problem. After they identify them to --
23 for public safety issues, come up with a game plan on
24 those, and you will bring back to us a game plan on
25 those that -- because we're really not interested in
26 knowing what happened to the 3,860 that are not a
27 problem. We're only interested in knowing what
28 happened to those that are a problem and what is the
29 game plan.

30 MR. DUPLECHIN:

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 The game plan right now is to present this report
2 to LRA.

3 MR. ANGELLE:

4 Okay.

5 MR. DUPLECHIN:

6 And it was really -- when all this occurred, it
7 was their -- they were the ones that were going to
8 move forward with the next step, whatever they decided
9 to do.

10 MR. ANGELLE:

11 Well, what is your recommendation for the next
12 step? The LRA is a bunch of individual members of the
13 public that are serving in a voluntary capacity. Is
14 the next step to seek money?

15 MR. DUPLECHIN:

16 The next step will be to seek money to address
17 the wells that do need to be plugged and abandoned.

18 MR. ANGELLE:

19 Does anybody have any questions for
20 Mr. Duplechin?

21 MR. DUPLECHIN:

22 Mr. Bolourchi?

23 MR. BOLOURCHI:

24 These wells were in the surge area; is that
25 correct? These wells were located in the surge area?

26 MR. ANGELLE:

27 That's correct.

28 MR. DUPLECHIN:

29 Correct.

30 MR. BOLOURCHI:

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 And so what percent were seriously damaged?

2 MR. DUPLECHIN:

3 Less than 200 out of 3,800 were moderate or high,
4 high risk or moderate risk.

5 MR. BOLOURCHI:

6 That's five percent.

7 MR. ANGELLE:

8 20 high and 154 moderate.

9 MR. BOLOURCHI:

10 I think this speaks for the rules and regulations
11 of water wells that has been in force since 1985,
12 having surge five, six, who knows, ten feet of water,
13 I think that's a very good job on the part of the
14 drillers and the part of the State to inspect those
15 wells making sure that they can withstand this type of
16 forces. Thank you.

17 MR. ANGELLE:

18 Okay. Thank you very much.

19 MR. BOLOURCHI:

20 By the way, is that report going to be available
21 to Commissioners?

22 MR. DUPLECHIN:

23 It will be available. I have to make some more
24 -- get some more copies of it made.

25 MR. BOLOURCHI:

26 Just executive summary, please.

27 MR. DUPLECHIN:

28 Yes.

29 MR. BOLOURCHI:

30 Thank you.

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 MR. DUPLÉCHIN:

2 I'm not going to be bringing 18 copies (sic) to
3 each of you all.

4 MR. ANGELLE:

5 Thank you very much.

6 Does that satisfy the Commission's interest in
7 this issue?

8 (No response.)

9 MR. ANGELLE:

10 Hearing no questions, we'll go to Item B, which
11 is presentation by Conservation attorney, John Adams,
12 on the proposed Memorandum of Understanding, pursuant
13 to Act 437, which is the transfer of authority for
14 well drillers from DOTD to the Office of Conservation.

15 MR. ADAMS:

16 Thank you, Mr. Secretary.

17 Last year, the legislature did pass Act 437,
18 which essentially does two primary things. First, it
19 transfers the water well drillers programs,
20 specifically, the drillers licensing and regulations
21 program, the registration program, and the enforcement
22 program, it transfers those programs from the
23 Department of Transportation and Development to DNR,
24 specifically, the Office of Conservation within DNR.

25 Part of the legislation requires that, by
26 January 1st, DNR, DOTD, and the Office of Conservation
27 have a Memorandum of Understanding in place setting
28 out all the specifics of those -- of that transfer.

29 As of right now, the staff of the Office of
30 Conservation has prepared that memo, has submitted it
Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 to DOTD, and it is currently under review by their
2 legal department. The point there is that we are well
3 underway to having the Memorandum of Understanding in
4 place by the January 1st deadline.

5 The other big thing that the Act does is that it
6 gives the Commissioner enforcement authority over the
7 provisions in the -- the provisions of the programs.
8 Specifically, up to this point, there was no authority
9 for anyone to issue a compliance order requiring
10 enforcement of any of the provisions of those
11 programs. In order to get something done, a separate
12 lawsuit had to be filed through the Parish Attorney's
13 Office in the area where the act took place, but the
14 legislature fixed that by granting the Commissioner
15 authority to issue compliance orders, follow up with
16 civil penalties in the event that the compliance
17 orders weren't taken care of.

18 Basically, that's the whole -- that's the current
19 status.

20 MR. ANGELLE:

21 We're making process. Do we have any concerns
22 that will create failure to execute this in the time
23 we're trying to get that?

24 MR. ADAMS:

25 There were always concerns, but we're doing
26 everything we can to make sure that things continue to
27 progress smoothly.

28 MR. ANGELLE:

29 That's the right answer.

30 Any questions?

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 Yes, sir.

2 MR. BOLOURCHI:

3 Mr. Chairman, I think I need to make a correction
4 of Mr. Adams.

5 MR. ADAMS:

6 Sure.

7 MR. BOLOURCHI:

8 DOTD had full jurisdiction and authority, not
9 only in civil, but also criminal penalties, and
10 hearings, and we did that -- many of them was done
11 during the -- when the program was being instituted.

12 MR. ADAMS:

13 Right. Thank you.

14 MR. ANGELLE:

15 Thank you very much.

16 All right. Any questions for Mr. Adams?

17 (No response.)

18 MR. ANGELLE:

19 I appreciate your presentation, it means that we
20 are continuing to sharpen our efforts in the state to
21 have a streamline ground water management program.

22 We want to then move to Item C, Mr. Snellgrove to
23 present the Statewide Water Well Notification Audit
24 and Enforcement Update.

25 Mr. Snellgrove, while you are up, you'll take
26 care of C and all items on D, as well.

27 In the essence of time, we are going to request
28 that Mr. Jones make the water well evaluation
29 presentation perhaps at another meeting. This meeting
30 has probably gone beyond most folks' expectations, and
Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 so I would ask, with all due respect to Mr. Jones,
2 that we would just go ahead and get that one placed up
3 on the next item (sic).

4 And if you would, Mr. Snellgrove, go ahead and
5 take Items C and D.

6 MR. SNELLGROVE

7 Yes, sir. Thank you.

8 Real quickly, and I'll go through these slides
9 and entertain any questions.

10 We had reported in previous Commission meetings
11 that we had an audit process in place, and since we're
12 in the Chicot -- in the area here, I thought it would
13 be noteworthy to inform the public of where we're at
14 with the Chicot Aquifer.

15 Currently, we have concluded through August,
16 Acadia and Lafayette Parish, to date. We're currently
17 working on Allen, Evangeline, and St. Landry Parish.
18 We've concluded Calcasieu, Cameron, and Jefferson
19 Davis, and Vermilion, as well.

20 Some statistics on enforcement actions that have
21 been issued in this area are addressed somewhat for
22 the public's knowledge. This is -- the audit is a
23 process where our agency is reviewing the DOTD
24 database in comparing their database to our file
25 records and identifying water well owners who have not
26 submitted the required notification to the Department
27 of Natural Resources. I'll address, a little bit
28 farther back in time, in 2008, the legislature gave
29 the Commissioner the authority to -- or mandated that
30 the Commissioner enforce the statutes and regulations

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 under our Department, with the issuance of compliance
2 orders where applicable, and, of course, civil
3 penalties if necessary.

4 So, with that being said, moving forward, the
5 schedule, the staff created an enforcement auditing
6 process which is a two-year process, thereafter, to be
7 condensed into a one-year, annual review. And this is
8 where we're at in the schedule. We implemented it in
9 January of this year, and we're now, of course, at
10 this point in time.

11 So, in the Chicot Aquifer parishes, we have a
12 total -- we have issued, to date, from Calcasieu, as
13 it's reported on in June, on the schedule here, to the
14 end of August, which is to Lafayette, we've issued 561
15 enforcement actions for water well owners who have
16 failed to provide our agency the required notification
17 since our program has been in effect, from 2001 to
18 current.

19 I can break that down by parish, if you would
20 like. I guess I will go ahead and do that real
21 quickly. Cameron, we have issued 54 total; Calcasieu,
22 83; Jefferson Davis, 88; Vermilion Parish, 161;
23 Acadia, 114; and Lafayette at 91.

24 MR. ANGELLE:

25 So we have well owners who are failing to give us
26 -- to report to us, and you're grabbing that
27 information off of the DOTD database, because the well
28 drillers are providing that information, and the well
29 owners are not to us, so we're trying to merge those
30 two things?

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 MR. SNELLGROVE:

2 Yes, sir, that is correct.

3 And in this slide right here moving -- I'll fill
4 you in, if you will, on the public outreach and
5 education efforts that we have recently engaged and
6 have made contact with on several fronts -- two of the
7 fronts, rather than several, but two of the fronts
8 being the public supply water well owners and the
9 agricultural community.

10 Both of which, we've identified as being problem
11 areas for our program in regard to water well
12 registration, so what we wanted to do -- understanding
13 too that we've got two fronts opened up, one being the
14 enforcement side, and the other being public outreach
15 and education. What we're trying to achieve here is,
16 concurrently, we want to, of course, enforce our rules
17 and regulations, but at the same time, we need to
18 outreach and educate those who are in the most need to
19 understand that DNR does exist and that DNR does have
20 these regulations that require prior notification for
21 certain types of wells, and to, hopefully, get to the
22 point where we're getting the water well owners who
23 are delinquent providing the information that's
24 required to our agency before we implement the
25 enforcement screen that I showed earlier. In other
26 words, it's more efficient for me to go out and
27 educate and outreach and get the volunteer effort
28 coming in to reconcile the problem as it is for me to
29 -- in lieu of me going out and creating compliance
30 orders and going through that whole process. So this

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 is what we're aiming to do, and that's our -- our goal
2 there is to get voluntary compliance.

3 So, with that being said, the campaign that we
4 started the public supply well owners, we collaborated
5 with and partnered with the Office of Public Health.
6 We contacted those folks. We tapped into their
7 database as it is going to be probably the most
8 accurate that we have in Louisiana to identify the
9 public supply water well owners, who they are, and
10 where they are located.

11 When we tapped into that database, we sent over
12 970 memos out that essentially expresses what I
13 explained earlier, that we've got a process in place
14 to enforce, but we want to have voluntary
15 reconciliation, if you will, with any delinquent water
16 well owners out there. And, of course, we provided in
17 that memo this information, and more importantly,
18 contact information, and the phones have been ringing,
19 so -- and that's the way we want it. We want -- you
20 know, that goal, that mission, is really moving
21 forward in the right direction on that front.

22 And where we're at with that is, we first went
23 out to the community public supply water well owners,
24 and the next stop is going to be the non-community
25 public supply water well owners, and we'll be getting
26 to that here, probably, within the next couple of
27 weeks.

28 The second aspect of -- for a more grassroots
29 campaign, if you will, to public outreach and
30 education efforts here, is for us to reach out to the

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 agricultural community. And in doing so, we've
2 contacted the NRCS and we've also contacted LSU, the
3 LSU Ag Center, and where we're going with this effort
4 is collaborating with or partnering with the Natural
5 Resources Conservation Services and going to their
6 location to educate their field level staff and
7 engineers.

8 As I appreciate, they have a process where the
9 farming community -- that the agricultural community
10 can receive funding through their agency, through
11 funds and what have you, but in order to do so, it is
12 important that -- it is required that the -- that the
13 water well owner or the farmer demonstrate to this
14 group that they've complied with the State's laws and
15 regulations at the local and State level.

16 So what we want to do is, is make sure that the
17 NRCS folks fully understand and grasp our rules and
18 regulations and how they play into the regulatory
19 scheme. And also, concurrently with that, is provide
20 them with tools so that they can educate the
21 agricultural community at the field level as they're
22 coming in to receive funding, or even without
23 receiving funding. This all came about as a
24 brainstorm, from my prospective, from a conversation I
25 had with a representative in the northwestern part of
26 the state -- northeastern portion of the state, and my
27 understanding of the fact that there were agencies out
28 there that were assisting the farming -- the
29 agricultural community that I really didn't know that
30 were out here. So the light bulb went off, and I

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 said, well, we've got to train and educate those folks
2 so we can get that message out from both sides, the
3 agency's, as well as the water well owners. So that's
4 where we're at with this effort. The LSU Ag Center,
5 we're going to partner with those folks too, and we're
6 going to give them the tools that they need to help us
7 out, also.

8 This slide right here is showing the most recent
9 cooperative agreement that was signed by our agency to
10 provide funding for this fiscal year to continue a
11 U.S.G.S. monitoring effort in the Sparta Aquifer that
12 is showing -- or that was set up to show the effects
13 of the efforts that were put forth by the Union County
14 to end -- or to get off of the Sparta Aquifer up there
15 in Union County, to go to surface water. So we wanted
16 to -- this cooperative agreement was set forth to
17 continue the monitoring of the Louisiana wells that
18 were part of that effort.

19 MR. ANGELLE:

20 Mr. Snellgrove, at the last Commission meeting, I
21 think we adopted a resolution, or certainly had
22 discussion, upon the request of Mr. Coleman, and
23 probably a motion whether we would move forward with
24 this. In 30 seconds or less, where are we on this,
25 where it says, "signed for Sparta," where are we in
26 terms of the process?

27 MR. SNELLGROVE:

28 Okay. Where we at right now is with the Division
29 of Administration and their approval.

30 MR. ANGELLE:

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 Okay. So we have done everything -- the
2 Department of Natural Resources, Office of
3 Conservation, has appropriated the money, has done
4 everything we need to do. We're waiting on a
5 contract, the Office of Contractual Review to sign off
6 on it, and it's done?

7 MR. SNELLGROVE:

8 Yes, sir, that's my understanding of it.

9 MR. ANGELLE:

10 Thank you very much.

11 MR. SNELLGROVE:

12 Well, as the Secretary had mentioned earlier,
13 Mr. Jones' presentation will be at another time.

14 MR. ANGELLE:

15 All right. Okay. So you have taken care of C
16 and D. We will defer on E, and go on to F.

17 Mr. Snellgrove?

18 MR. SNELLGROVE:

19 Okay. Here we go. So the Statewide Ground Water
20 Conservation Plan that has been the topic of
21 discussion at previous meetings, also, we're reporting
22 here that this is what we expect the timeline to be
23 for us to go ahead and have conclusion of a Statewide
24 Ground Water Conservation Plan, a management plan is
25 what this -- is complete.

26 So, as the process goes through, the request for
27 proposal, which is what the "RFP" acronym stands for,
28 will be advertised in months one and two, and then
29 we'll, of course, receive, you know, proposals in that
30 time period, and we'll have to evaluate them by the

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 staff to make sure that they meet the intentions or
2 the scope of services as detailed in the RFP. I
3 believe Maureen is handing out, I believe, a draft of
4 those scope of services?

5 MR. ANGELLE:

6 Yes. Let me address this issue.

7 Again, going back to the first presentation that
8 we had today from Ms. Terrell and the duties of the
9 Commission were to continue to develop, in conjunction
10 with the Commissioner, a statewide ground water
11 resource management program, we all felt very clearly
12 the need to -- we discussed this at last month's
13 meeting. We have again been able to obtain some
14 financial resource to better do this.

15 Mayor Hollingsworth, at the last meeting, was
16 very interested in seeing a timeline put together so
17 we could hold ourselves accountable for that. We are,
18 in my estimation, about two weeks away from beginning
19 this process, okay, based on some recent
20 correspondence that I received.

21 I have before you the scope of services that our
22 staff handed out, and I'm going to just kind of run
23 through it real quick. Number one, I think it is
24 important that -- and I realize that some of this
25 information is out there, but it needs to be put
26 together and wrapped up in an easy-to-read packet.

27 Task No. 1 -- I'm reading on Page 2 of the
28 document, it says, provide a historical review of
29 ground water resources and surface water resources;
30 2, provide comprehensive statistics on number of

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 users, volumes of use, type of users, number of
2 wells/intakes and similar statistical information for
3 each aquifer and surface water source for the most
4 recent five-year period and project the demand for the
5 next ten years; No. 3 -- which I believe is the real
6 meat and potatoes of this -- study, evaluate, and
7 provide specific recommendations both long term and --
8 short term and long term, to enhance the
9 sustainability and quality of ground water resources
10 throughout the state. This task shall include but not
11 be limited to the study and evaluation of surface
12 water resources and reclaimed water, including
13 treatment and transmission systems of same, as an
14 enhancement to ground water sustainability. This task
15 shall also include recommendations and all the
16 component parts of a comprehensive management plan,
17 including but not limited to registration, evaluation,
18 conservation, education, enforcement, monitoring,
19 auditing, and collaboration with water districts,
20 local government, other State agencies, Federal
21 agencies, and universities. Task 4 is to then
22 prioritize some of those short and long-term
23 recommendations above in No. 3, based on a
24 cost-benefit analysis; 5 is to study, identify, and
25 recommend sources of local, State, Federal, or other
26 funding resources, such as grants, loans, to fund the
27 prioritized long and short-term recommendations; 6 is
28 to identify best management practice throughout the
29 nation regarding effectiveness and feasibility of
30 implementing tax incentives to offset development,

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 implementation, and/or completion costs of those
2 recommendations; and 6 (sic), to issue an electronic
3 version of a draft comprehensive report of Task 1
4 through 6, inclusive, conduct four public hearings for
5 the purpose of informing attendees and receiving
6 public comments on the details of said draft
7 comprehensive report during a 30-day period at times
8 and locations prescribed by the Office of
9 Conservation, subsequently consult with the Office of
10 Conservation on potential incorporation of public
11 comments into a final comprehensive report. The
12 format for the draft comprehensive report shall be in
13 an easy-to-read format, with graphs, charts, and
14 pictures all consistent with the business management
15 of this type of publications, and finally, publish
16 five originals of a final comprehensive report and an
17 electronic version of said comprehensive report.
18 Those versions shall include all reference
19 information, appendices, resources information, et
20 cetera; in addition, publish 30 original, hard, color
21 copies of an executive summary and provide an
22 electronic version of said executive summary in an
23 easy-to-read format.

24 So this is what this Commission will be wallowing
25 into with the selection of a contractor through a
26 transparent, public process that should begin in about
27 two weeks.

28 Any questions?

29 MR. COLEMAN:

30 I think it's commendable.

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 MR. ANGELLE:

2 Thank you, sir.

3 MR. LOEWER:

4 I take it, the Governor didn't cut those funds.

5 MR. ANGELLE:

6 No, the Governor did not cut those funds. The
7 governor does not cut any funds -- since I worked for
8 the governor, the legislature is the one that cuts
9 funds. Let's make sure -- get that on the record,
10 ma'am, okay (laughter).

11 Okay. So that's the timeline.

12 Any other concerns? Obviously, we wish we could
13 have it all done tomorrow, but it does take time to
14 put together the kind of plan that we will use to
15 govern ourselves for the coming several years.

16 Item G is the Sparta Area of Ground Water Concern
17 Update.

18 MR. SNELLGROVE:

19 Real quick, the big news, the highlight of this
20 slide is that we have received information that
21 states, from the mayor, Mayor Norris, we made
22 reference to him earlier today, but he says, "Now we
23 have sufficient funding to build the project to the
24 original ten million gallons per day capacity." So,
25 as of September 10th, we received this letter from the
26 City of West Monroe that brought forth this good news,
27 and we wanted to make sure that we highlighted that.

28 MR. ANGELLE:

29 Mayor Hollingsworth, didn't you address this --
30 at the last meeting, he made this presentation and the
Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 announcement -- a subsequent announcement that he
2 received some additional stimulus money, that at that
3 time when he made that presentation, he had not yet
4 received; is that correct?

5 MR. HOLLINGSWORTH:

6 I think that's right.

7 MR. ANGELLE:

8 So was it because we invited him to the meeting
9 and he had such a good presentation that he got the
10 money?

11 MR. HOLLINGSWORTH:

12 I hope.

13 MR. MAYS:

14 We'll take credit, yes, he got it.

15 MR. ANGELLE:

16 Motion by Mr. Mays to take credit for every good
17 thing that happened here (laughter).

18 MR. COLEMAN:

19 Some members of the Sparta Commission encouraged
20 him to pursue that route, he did, and it was
21 successful.

22 MR. ANGELLE:

23 Great, great, great, that's a successful -- I
24 heard earlier this represents the lowest-hanging fruit
25 for us to impact -- positively impact the Sparta,
26 okay.

27 All right. And, Mr. Snellgrove, you have Item H,
28 as well?

29 MR. SNELLGROVE:

30 Yes. The latest update with the Haynesville
Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 Shale, of course, area of concern -- back that up --
2 an area of the state where we have received a lot of
3 inquiry about the Carrizo-Wilcox and the conditions up
4 there and the use of water supplies for hydraulic
5 fracturing to develop the natural gas flow.

6 Where we're going is -- what we've done here is
7 to collect some data. We need to understand that --
8 where we are with our advisory, and, in fact, almost a
9 year ago now, in fact, a little bit over a year, the
10 Commissioner of Conservation issued a water use
11 advisory for this particular area because of the use
12 of -- the volumes of water that were going to be
13 needed to be used for hydraulic fracturing. So in
14 that advisory, you know, water -- the oil and gas
15 industry would seek and utilize alternative resources
16 in lieu of the Carrizo-Wilcox ground water.

17 So it's been a year and we were expecting some
18 reports to come forth, but for one reason or the
19 other, we weren't able to obtain that information. So
20 we are no longer going to wait. We are going to now
21 require the oil and gas operators, when they fill in
22 these work history report forms, which they currently
23 already have to do for hydraulic fracturing, anytime
24 they do a hydraulic fracturing process, they are
25 issued a work permit. And part of the work permit
26 process is, is to provide this WH-1 Form to document
27 what changes were made and what activity they did at
28 the well. So on the back side of this form that I put
29 a copy of in your information packets, is an -- is a
30 section that would capture water well or water

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 resources -- water sources information that went into
2 the development of the site -- or the actual rig
3 supply water or the frac water supplies. So the
4 operators will now begin to complete this information
5 out and provide it to our agency so that we can now
6 begin to establish by this information that will tell
7 us, you know, what volume of waters are being used for
8 what -- and from where -- the volume and the source
9 used at oil and gas locations.

10 MR. ANGELLE:

11 I want to compliment the Commissioner for making
12 this change on your form, sir. I think it is good for
13 us to know where we have such an announced projected
14 use of water in a particular area that we -- that
15 while each individual well may not meet a current
16 reporting requirement, that the cumulative impact of
17 that will cause us to manage that resources perhaps in
18 ways that we haven't thus far. I think it's important
19 that you made that change, and I salute you for doing
20 that, and that kind of, I think, begins to get our
21 arms around it.

22 If one company is using, for instance, I think it
23 was -- it was -- the example was, in a particular
24 area, if you use ten million gallons of water a day,
25 then you had to report to us. You had to meter. And
26 I'm giving you a what if. If, on the other hand, you
27 use three million gallons of water a day, you didn't
28 need to report to us, but we could have a situation
29 where -- in this situation, as we all have read the
30 Haynesville Shale opportunities, because of multiple

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 users using three million gallons a day, which would
2 be below the ten million, but cumulative would be a
3 much greater impact than the ten, and so using that as
4 an example, I think the Commissioner provided the
5 right leadership in requiring that to be reported.
6 Good job.

7 Okay. Any other questions for Mr. Snellgrove,
8 any comments?

9 (No response.)

10 MR. ANGELLE:

11 Okay. Very good. The next meeting date to be
12 announced.

13 MR. JOHNSTON:

14 Mr. Chairman?

15 MR. ANGELLE:

16 Yes, sir.

17 MR. JOHNSTON:

18 When you were doing the audit, did you check
19 those wells that were looked at as well damaged, we
20 heard from Mr. Tony Duplechin, did you get any kind of
21 cross references to see how they would stack up?

22 MR. SNELLGROVE:

23 No, not specifically, we didn't. I haven't made
24 that correlation, but we can certainly look into that.
25 I think most of those wells that were reported as
26 damaged, though, were domestic wells. And the scope
27 of our audit is focused on wells that are non-exempt
28 from prior notification, and domestic wells are
29 required to report after they have been installed, so
30 -- if there are some wells that are out there that are

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 industrial wells or public supply wells that are part
2 of those damaged wells, we certainly can follow up and
3 look into that and let you know.

4 MR. JOHNSTON:

5 Thank you, sir.

6 MR. WELSH:

7 You've got a question from Mickey.

8 MR. ANGELLE:

9 Mr. Mays?

10 MR. MAYS:

11 I would like to compliment the Secretary, the
12 Commissioner, and staff on this scope of services. I
13 think this is going to be very, very important, and I
14 do think the selection of that engineering firm or
15 whoever it is to do this is important, and I may have
16 -- when I stepped out, you may have addressed it. How
17 that selection process will be made, will that be a
18 recommendation to this Commission or will be involved
19 in the selection?

20 MR. ANGELLE:

21 Yes. The process is the Office of the
22 Conservation is the recipient of those funds. The
23 Office of Conservation will be the contracting agency,
24 and the Office of Conservation will follow a standard
25 procedure, where folks will turn in their responses,
26 they will be evaluated, and the Commissioner will make
27 a selection of who the contractor will be.

28 MR. MAYS:

29 Okay.

30 MR. ANGELLE:

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 Yes, it's all transparent. It's all transparent.

2 MR. HOLLINGSWORTH:

3 Mr. Chairman, in that scope of services, I would
4 like to make one suggestion. It occurs to me that
5 what we have seen this afternoon with the discussion
6 of the leaching -- the wells use for leaching purposes
7 is just a case in point. All of these requests for
8 industrial usage, or put another way, in a request for
9 the use of a well that is not a potable water use
10 should be run through a filter that asks the simple
11 question, have we considered the availability of
12 surface water in lieu of ground water for that, and --
13 because all of these things come incrementally. In
14 the aggregate, the effect is much greater than is
15 apparent from any one request, and considering, I
16 think, to ask three or four that were outlined in your
17 outline, I hope that we will install some sort of
18 criteria that will enable us to come to grips with the
19 cumulative effect rather than the incremental effect
20 of these decisions.

21 MR. ANGELLE:

22 That's a great suggestion. If you want to work
23 with Mr. Snellgrove on any suggested language, we
24 might want to amend this to capture that so that we
25 can get, you know, real information that can help us
26 in a reportable fashion that we can understand. I
27 certainly would encourage you to do so, but I would
28 ask that you do it before Friday of this week.

29 MR. HOLLINGSWORTH:

30 Thank you.

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

1 MR. ANGELLE:

2 Thank you. Okay. Let's see here.

3 Yes, meeting date -- in speaking to several of
4 you, we're all very busy. I think many of you have
5 suggested that we would go to some regular schedule,
6 third Tuesday or fourth Wednesday or whatever. My
7 staff -- I had asked Maureen to reach out to you all
8 and kind of see what works best for you so that we can
9 try to begin to put something on all of our calendars
10 so that you're not subject to, you know, my calendar,
11 but it's something that we can all agree to --

12 MR. LOEWER:

13 Are we going to meet in the fourth quarter?

14 MR. ANGELLE:

15 Yes, we are. Right. We have been meeting now --
16 this represents the fifth meeting of the reorganized
17 Ground Water Commission in 12 months. We are required
18 to have two. This represents our fifth one, one of
19 which we didn't have a quorum, okay. Quorums have not
20 been a problem since we got started, and I don't
21 anticipate them to be a problem.

22 I am trying to get to, you know, at least monthly
23 meetings as we can go through the backlog of work that
24 we have, and I think we're making progress. I would
25 be interested in your feedback on that, and it may be
26 where we can start going to six meetings a year as
27 opposed to 12. I'm confident that we've got the ball
28 rolling. I'm confident that our timeline is going to
29 be something that will govern us, and I'm not sure
30 that over the next 30 days we will have a whole bunch

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 more to report to you that is critical for you to
2 receive that could not wait for 60 days. So I'm
3 interested in feedback. I know scheduling is a tough
4 thing.

5 MR. BOLOURCHI:

6 Just a comment, Mr. Secretary, the procedure for
7 setting up the meeting, I think it would help us all,
8 after it is decided when the meeting is going to take
9 place, that it will be sent to the Commissioners by
10 electronic calendar, that way, we can reply, accept,
11 or whatever.

12 MR. ANGELLE:

13 Sure.

14 MR. BOLOURCHI:

15 I think that would help.

16 MR. ANGELLE:

17 Anybody have any feedback on -- again, we're
18 required to meet twice. I don't think that's enough.
19 I think four is a minimum. Whether we need six,
20 eight, ten, or twelve, I'm interested in hearing from
21 you. I don't think there's a right or wrong answer to
22 it. It is what it is.

23 Anybody want to --

24 MR. HOLLINGSWORTH:

25 Mr. Secretary, I want to commend you and your
26 staff and Mr. Welsh for getting this together, because
27 that's headed us in a direction that we need to go in.

28 Also, I want to comment on Mr. Owens' comments
29 about the cumulative effect of small things. I think
30 the state has been blessed with a lot of water

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 resources over the years, and I think we've gotten
2 careless about how we do things, and it not only needs
3 to be to look at another water source. We need to
4 look at it, do we need to be doing this at all, as far
5 as I'm concerned.

6 MR. MAYS:

7 I guess, to answer to your question, I think
8 every 60 days would probably be okay to manage the
9 agenda, but it would be a suggestion that we might
10 want to meet a little more often until we get to the
11 point of dealing with the selection of the -- and the
12 development of the plan.

13 MR. ANGELLE:

14 I would like to propose -- anybody have any
15 comment to the contrary?

16 MR. COLEMAN:

17 Mr. Secretary, could we maybe use the normal
18 meeting time as every 60 days, and then if there is a
19 need for a special meeting, it be called at your
20 pleasure?

21 MR. ANGELLE:

22 Yes, that's what I was going to suggest, great
23 suggestion.

24 MR. BOLOURCHI:

25 Is that a motion?

26 MR. ANGELLE:

27 Yes. I'm going to go ahead and suggest that we
28 get into a 60-day rotation, and then subject to a
29 special meeting by a call of the Chair, so that would
30 mean that we would be looking at a meeting sometimes

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 in November, okay. And I'll have my staff work with
2 you on a date for November, and I'll also have my
3 staff, while they're working with you, find out what
4 particular days of the month work better for you to be
5 available so that we can say, November, then we'll
6 say, you know -- we'll go ahead and pick the rest of
7 the dates for 2010, starting with January and March
8 and May and so forth, and have it on our calendar so
9 we can make our arrangements as necessary.

10 MR. MILLER:

11 Mr. Chairman?

12 MR. ANGELLE:

13 Yes, sir.

14 MR. MILLER:

15 If we could avoid the CPRA meetings, because
16 there was a conflict today, and I really needed to try
17 to do both, and obviously, you can only do one, so...

18 MR. ANGELLE:

19 Yes. Well, we're glad to see that you picked the
20 right one (laughter). I had the same problem.

21 Okay. Very good. Yes, sir?

22 MR. BOURQUE:

23 Are you going around the state in a timely
24 manner, or are you all going to try to set it in a
25 certain spot to have these meetings?

26 MR. ANGELLE:

27 Well, we have been rotating. We have been to
28 Minden, we have been to Baton Rouge, we have been to
29 Ruston, and we have been to Eunice, and it is my goal
30 to try to continue bringing the Commission to the

Michelle S. Abadie, CCR

SEPTEMBER 16, 2009

1 various corners of the state. We will continue to try
2 to do that. There are always challenges associated
3 with that. I think today we found out that we have to
4 do a much better job, and I take full responsibility
5 and fault for meeting in a venue that did not have
6 microphones, that had PowerPoint presentations to the
7 rear of the members, but that won't happen again. I
8 promise you that.

9 Okay. Next, public comments, do we have anybody
10 that wants to make a comment?

11 (No response.)

12 MR. ANGELLE:

13 Very good. Move for a --

14 MR. BOLOURCHI:

15 I move to adjourn.

16 MR. ANGELLE:

17 Motion by Mr. Bolourchi.

18 MR. OWEN:

19 Second.

20 MR. ANGELLE:

21 Second by Mr. Owen to adjourn.

22 Any discussion?

23 (No response.)

24 MR. ANGELLE:

25 No objection, hearing none, this meeting is
26 adjourned.

27

28

29

30

Michelle S. Abadie, CCR

(225) 261-5109

SEPTEMBER 16, 2009

CERTIFICATE

I, MICHELLE S. ABADIE, Certified Court Reporter, do hereby certify that the foregoing meeting of the Ground Water Resources Commission was heard before the Honorable Scott Angelle, Secretary, Department of Natural Resources, on September 16, 2009, in Eunice, Louisiana; that I did report the proceedings thereof; that the foregoing pages, numbered 1 through 190, inclusive, constitute a true and correct transcript of the proceedings thereof.

MICHELLE S. ABADIE, CCR #24032
CERTIFIED COURT REPORTER

Michelle S. Abadie, CCR

(225) 261-5109